

Public Service Commission-Panel II
February 24, 2016

STATE OF NEW YORK
PUBLIC SERVICE COMMISSION

-----X

TELECOM STUDY - CASE 14-C-0370

TECHNICAL CONFERENCE AGENDA

PANEL 2 - The Status and Adequacy of
Advanced Broadband System.

-----X

NYS Department of Public Service
90 Church Street
New York, New York

February 24, 2016
1:00 p.m.

MODERATORS:

KAREN GEDULDIG, Director, Office of
Telecommunications, DPS

JOSEPH YAKEL, Supervisor, Network
Reliability, Office of
Telecommunications, DPS

Reported by: Kari L. Reed

STENO-KATH REPORTING SERVICES, LTD.
139 Mamaroneck Avenue
Mamaroneck, New York 10543
(212)95-DEPOS (953-3767)*(914)381-2061
Fax: (212)681-1985*(914)381-2064
Email: stenokat@verizon.net

Public Service Commission-Panel II
February 24, 2016

2

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PANELISTS:

Benjamin J. Aron, Director, State Regulatory and
External Affairs, CTIA - The Wireless
Association

Susan Crawford, John A. Reilly Clinical Professor
of Law, Harvard Law School

Maureen O. Helmer, Partner, Barclay Damon, LLP

Susan Lerner, Executive Director, Common Cause New
York

Dr. John W. Mayo, Executive Director, Georgetown
Center for Business and Public Policy,
Professor of the McDonough School of Business
at Georgetown University

Craig Moffett, Partner/Sr. Research
Analyst/Founder, MoffettNathanson, LLC

Jeffrey S. Nordhaus, Executive VP, Innovation and
Broadband, Empire State Development

ALSO PRESENT:

PSC Commissioner Patricia L. Acampora

PSC Commissioner Gregg Sayer

Audrey Zibelman, PSC Chair

Peter McGowan, Chief Policy Advisor

Public Service Commission-Panel II
February 24, 2016

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SPEAKER	PAGE
Bruce Kushnick.....	150
Richard Brodsky.....	156

Public Service Commission-Panel II
February 24, 2016

4

1 Proceedings - 2/24/16 - Panel 2

2 MS. GEDULDIG: Everyone, let's get
3 started. I'm Karen Geduldig. I'm the
4 Director of the Office for Telecom at the
5 Department of Public Service. And I am joined
6 with Joseph Yakel, who's the Utility
7 Supervisor for Network Reliability, also at
8 the Office for Telecom. So Joe and I work
9 together five days, sometimes six or seven
10 days a week.

11 So thank you to our panelists.
12 This panel is a big one. And we are hoping to
13 get some really good discourse on the topic of
14 broadband. And we are going to address this
15 panel similarly to this morning's, which is to
16 start with some questions, address them to
17 maybe one or two of the panelists and let the
18 conversation go from there.

19 So the first question we have are
20 around what advanced communication services
21 are. I think we talked a lot about them in
22 our factual assessment. But if we are going
23 to talk about barriers to deployment and lack
24 of access across the state, I'm curious how
25 people define advanced services from terms of

Public Service Commission-Panel II
February 24, 2016

5

1 Proceedings - 2/24/16 - Panel 2
2 are there defined speeds, functionality,
3 capacity, and how are industry and consumers
4 and economists thinking about what is an
5 advanced communications service. We'll start
6 with, let's see, who do we have here, maybe
7 Susan Crawford.

8 MS. CRAWFORD: Well, thank you very
9 much for having me here, yes.

10 MR. YAKEL: And you push the button
11 and the light will come on and the mic will be
12 on.

13 MS. CRAWFORD: Okay, great.

14 Okay. I'm delighted to be invited.
15 I'm glad to be here to speak to you all. I am
16 an academic. I have no clients, no consulting
17 arrangements. And my life is supported by my
18 salary at Harvard and my work as a columnist.
19 And everyone academic that you talk to should
20 answer those questions before they testify
21 before any public body.

22 What are advanced communications
23 services. Well, the staff has tried to
24 describe the situation in their recent
25 assessment, but I'm quite anxious about that

Public Service Commission-Panel II
February 24, 2016

6

1 Proceedings - 2/24/16 - Panel 2
2 assessment because they appear to be operating
3 in the dark, including relying on industry
4 provided data that basically everything in New
5 York State is going fine and the industry is
6 moving ahead. And they appear to be living in
7 a vacuum. The data isn't tested. We're
8 relying completely on what the industry says.
9 It is often highly inaccurate. We also have
10 absolutely no pricing data for what people are
11 paying for services on the ground. Which is a
12 terrible problem for New Yorkers.

13 So, in fact, with some bright
14 exceptions stemming from a few nonprofit
15 public open access middle mile networks and
16 communities using those open access networks
17 to bring fiber to the home in New York State,
18 the connectivity picture in New York State is
19 dismal. It's uncompetitive, it's stagnant,
20 it's second rate, and now it's burdened with a
21 mostly useless grant program. The grant
22 program excludes from its area any part of the
23 Time Warner Cable franchise territory. And
24 also any area that could be supported by CALF
25 funding, meaning that most of the state can't

Public Service Commission-Panel II
February 24, 2016

7

1 Proceedings - 2/24/16 - Panel 2

2 apply for those grants.

3 So this map shows what's going on
4 in New York State. And I'll hand out copies
5 if anyone wants them. As you can see, most of
6 the state has one color attached to it. These
7 are the places where there are 25 megabit per
8 second connections available, and where
9 there's only one choice of that connection
10 available. So the brown is only one choice.
11 And the yellow shows the places where there
12 are 25 megabits per second available with two
13 choices of providers. So you see that a lot
14 of New York State has no opportunity to
15 purchase 25 megabit per second download
16 services, which is what the FCC is defining as
17 broadband these days.

18 MS. GEDULDIG: So, Susan, I'm
19 curious, sorry for interrupting, but are they
20 25 megabit speeds, is that the definition, or
21 is that what -- is that the definition you are
22 using for what constitutes an advanced
23 communication service?

24 MS. CRAWFORD: An advanced
25 communications, this service today is fiber

Public Service Commission-Panel II
February 24, 2016

8

1 Proceedings - 2/24/16 - Panel 2
2 optic connection, with wireless for the last
3 fifty feet when necessary, scalable, unlimited
4 capacity, at an inexpensive price. Governor
5 Cuomo has set his definition as 100 megabits
6 down, ten megabits up. That definition is
7 sorely lacking in a couple of areas. One,
8 it's not about fiber, it's not symmetrical.
9 And we've got a big problem defining as
10 advanced anything carried over copper or over
11 the cable highway provider co-axial
12 connection. So advanced communications today
13 is what we need and will need for the future
14 to scale into the medical imaging,
15 video-carrying productive uses of two-way,
16 high speed Internet access connection.

17 MS. GEDULDIG: So is there any
18 thought that, perhaps another panelist might
19 have some good insight -- well, everyone will
20 have some good insights into what the
21 definition or should there be a definition of
22 advanced communications services. But
23 perhaps, Craig, you have some thoughts about
24 what that could be.

25 MR. MOFFETT: Well, it's hard to

Public Service Commission-Panel II
February 24, 2016

9

1 Proceedings - 2/24/16 - Panel 2
2 escape the FCC's definition and now that's it
3 a matter of record, at least for federal
4 purposes. But there is a sense that the 25
5 megabytes per second level, while we're
6 chasing a moving target, it's also a bit
7 arbitrary, right. I mean the -- what's
8 required to be able to do multiple streams of
9 simultaneous downstream video is actually --
10 25 megabits per second is actually ample to do
11 three simultaneous streams of HD video. And
12 so lots of people would say that's actually
13 more than what's required. On the other hand,
14 once you break the realtime constraint and
15 say, you know, it's easy to say I want to be
16 able to stream live video. But if you say I'd
17 like to download a movie before I go to the
18 airport, waiting an hour and a half to
19 download a movie, which is realtime, is not a
20 satisfactory answer. But then it becomes
21 almost impossible to answer because there are
22 no real benchmarks. And I think that's why
23 you find policy makers everywhere really
24 struggling with this question of what is
25 sufficiency if this day and age. And it's

Public Service Commission-Panel II
February 24, 2016

10

1 Proceedings - 2/24/16 - Panel 2

2 a -- and it obviously creates an additional
3 policy problem in that if you define
4 sufficiency as a high number, then by
5 definition it's going to create a much bigger
6 and more problematic separation between rural
7 and less rural areas. If you define it as a
8 low number, you will inevitably be labeled as
9 a Luddite or not fast enough. There is no
10 good and there is no clear answer. And it's
11 frustrating in that regard.

12 MR. YAKEL: Thanks for that.

13 I'd like to tie it into the second
14 part of the question, and maybe, Jeff, you can
15 address this. But you talked the advanced
16 network and regions of the state that may lack
17 access. Can you talk about the VOIP program,
18 you know, and some respects -- with respect to
19 what you've seen in review of the state of
20 technology.

21 MR. NORDHAUS: Sure. Thank you
22 very much, and thanks for including me on this
23 panel. And I'm glad this panel is starting
24 off with a bang, it's not starting off boring
25 at all.

Public Service Commission-Panel II
February 24, 2016

11

1 Proceedings - 2/24/16 - Panel 2

2 I was thinking, I went to the same
3 school as my professor, so it's always
4 dangerous to disagree with a professor,
5 especially a Harvard Law School professor.
6 Probably get a bad grade or something.

7 MS. CRAWFORD: It depends on the
8 question.

9 MR. NORDHAUS: But I really welcome
10 the comment. And I think that, you know, the
11 underlying theme is the same. I might
12 disagree with a couple of the details, but the
13 underlying theme is the same, which is we need
14 more broadband. We agree.

15 I work at the Broadband Program
16 Office. And Governor -- I work for the
17 Governor's office through ESD, and I'm helping
18 create the New NY Broadband Program. The New
19 NY Broadband Program is a \$500 million program
20 created by the Governor to improve the state
21 of broadband here in New York. And if you
22 look around, and I, again, I stand corrected
23 I'm sure on any of these points, I hope there
24 are not too many, though, that the -- no state
25 has come close to this level of commitment to

Public Service Commission-Panel II
February 24, 2016

12

1 Proceedings - 2/24/16 - Panel 2
2 improving the state of broadband in terms of,
3 you know, \$500 million. A lot of states have
4 talked about oh, we want more broadband or we
5 should do, you know, more of this or more of
6 that. But in terms of actually putting real
7 commitment, real dollars behind a program,
8 this is truly unprecedented. And why is that.
9 Well, there are a couple of reasons.

10 First, the Governor views that
11 broadband is essential. It's no longer a
12 luxury. Someone was talking about speeds of
13 Netflix. This is no longer about Netflix.
14 This is not a luxury, this is a necessity.
15 When you look at 98 percent of students are
16 using the Internet in school to complete
17 homework assignments, and about half of those
18 need the Internet at home, effective broadband
19 speeds at home to complete those assignments.
20 There was an article this week about the
21 homework gap or the homework divide. It's not
22 enough to have a student be able to access the
23 Internet in school, and then they go home and
24 students can complete their assignments, some
25 can't. That's unacceptable and that doesn't

Public Service Commission-Panel II
February 24, 2016

13

1 Proceedings - 2/24/16 - Panel 2

2 work, and that's an underpinning of it.

3 The Internet is also essential for
4 adults. If you look, a majority of adults
5 seeking, looking for employment used the
6 Internet as a way to find -- to help as a tool
7 for seeking a new job. And a majority, I read
8 a study, a majority of those said that online
9 was the critical tool that they used to
10 actually find that job.

11 So in New York we believe that the
12 Internet is no longer a luxury, it's a
13 necessity. It's the underpinning of a modern
14 economic system effectively. And it's for
15 that reason that Governor Cuomo has truly
16 embraced broadband and the Internet as a
17 essential to his administration. The Governor
18 prior to, I joined earlier this year, had
19 already committed more than \$70 million to
20 expanding broadband network, and now \$500
21 million, which will be partnered with the
22 private sector, a billion dollar commitment,
23 obviously takes that to a new level.

24 In the recent grant proposal that
25 was released we attached census blocks. And

Public Service Commission-Panel II
February 24, 2016

14

1 Proceedings - 2/24/16 - Panel 2
2 the census blocks were derived from the FCC's
3 477 data, which, you know, isn't perfect. We
4 agree that data isn't perfect. It's what we
5 have. We hope maybe through team work and
6 working together we can improve that. Because
7 we think it doesn't need to be improved, but
8 one served, all served is a big issue. But we
9 took all the unserved census blocks and
10 reattached those to the RFP, and we'll be
11 awarding funding to providers who are willing
12 to provide and willing and able to provide
13 service to currently unserved areas. So for
14 students who don't have the ability to do
15 homework, for people who can't look for jobs,
16 who for people who can't access the Internet
17 at home, I would disagree that that grant
18 program is useless. I think that is very
19 useful. And I am very committed, and our
20 whole team is working tirelessly, is committed
21 to making sure that any community in New York
22 State that does not have access to broadband
23 will have access to broadband by the end of
24 2018. Frankly, we wish we could do it faster,
25 but, you know, these things take a while to

Public Service Commission-Panel II
February 24, 2016

15

1 Proceedings - 2/24/16 - Panel 2
2 roll out. So I know I maybe diverted slightly
3 from the question, but I wanted to give a
4 little bit of background.

5 In terms of the speeds necessary
6 for a modern communication network, the
7 Governor has set forth, as mentioned, the 100
8 megabits as a goal. He didn't stipulate an
9 upload goal, but 100 megabits, and in the most
10 remote areas 25. I think a lot of folks, and
11 I go out and speak to a lot of communities,
12 would agree it's better to have something than
13 nothing. If you're in a community, and I see
14 some of our leading community representatives
15 here, and providers as well, if you're in a
16 community that has nothing, you'd rather have
17 25 than zero, and you probably think it's more
18 important to have 25 than somebody who has 50
19 going to 100. And we agree. We think that we
20 can't have communities left behind. And
21 that's really what the program is about, to
22 achieve the goal of the speed goals that
23 articulate of 100 or better or 25, through the
24 grant program. But that only goes part of the
25 way. We need the private sector, we need

Public Service Commission-Panel II
February 24, 2016

16

1 Proceedings - 2/24/16 - Panel 2
2 leaders across the country to continue to
3 speak out to move that program forward.

4 So at any rate, with that I'll turn
5 it back to, maybe I've answered more than the
6 question, but hopefully that was helpful.

7 MR. YAKEL: That was great, thank
8 you, Jeff.

9 So, John, I think you might have
10 something you want to offer us on this.

11 DR. MAYO: Sure. So I'm an
12 economist, and you normally don't invite an
13 economist in the room to give cheery news,
14 normally it would be the economist that would
15 be one to give dismal news. But I do think
16 that in this particular instance we have the
17 opportunity to be a bit cheerful and less
18 dismal. In the case of looking at the data
19 and the data that are government provided
20 data, we know that, looking at the staff
21 assessment, that currently 95 percent of the
22 state's population has access to 25 megabits
23 or greater. That's the data from the staff
24 report. If you look at the most recent
25 national broadband map data, and look at the

Public Service Commission-Panel II
February 24, 2016

17

1 Proceedings - 2/24/16 - Panel 2
2 combination of urban and rural consumers in
3 New York, it's over 98 percent of New Yorkers
4 that have access to 25 megabit speeds or more.

5 So I think that's very good news
6 actually. And there's been a number of
7 benchmark studies that have shown that in New
8 York that rate is greater than in other
9 states. And the number of choices is greater
10 in New York than it is in other states. If
11 you look at, again, the latest data from MTIA
12 and the Federal Communications Commission,
13 you'll see that over 90 -- well over 90
14 percent of the state's population have access
15 to three or more carriers that provide data at
16 25 megabits or greater. So I'm a little less
17 pessimistic than maybe some.

18 MR. YAKEL: Thank you, John. And I
19 think you bring up some good points. Now, in
20 the staff assessment, we do have maps, we do
21 have graphics. And, you know, one of the
22 things to point out is New York State is
23 blessed with a vast geography. We've got
24 metropolitan areas, we've got suburban areas,
25 rural areas. There's over 1,450

Public Service Commission-Panel II
February 24, 2016

18

1 Proceedings - 2/24/16 - Panel 2

2 municipalities in the state. And, to your
3 point, the vast majority of them have wired
4 networks, one or more wired networks. And
5 when we talk about advanced cable networks in
6 particular, we're looking at nearly every
7 single community in New York State, whether
8 it's the metropolitan area or the very rural
9 area, and most of those networks are providing
10 services at 25 megabits per second.

11 To your point and also to Jeff's
12 point, with the program we're about 95 percent
13 or more there. And I think what we're looking
14 at in programs like EPOs and the Governor's
15 New NY program is to start filling in those
16 gaps to get additional network and services.

17 (Cross talk)

18 MS. LERNER: Might I be heard?

19 Susan Lerner from Common Cause New York. I'm
20 sorry that I got here late, but there wouldn't
21 have been room for me up there anyway.

22 I would have to contend -- contest,
23 actually, this strong congratulatory feeling.
24 A lot of it depends on what data you're
25 looking at and how granular the data is. And

Public Service Commission-Panel II
February 24, 2016

19

1 Proceedings - 2/24/16 - Panel 2

2 what we've seen, and what I think the hearings
3 which the PSC conducted around the state
4 shows, is that the federal data provided by
5 the companies is simply not granular enough.
6 It would certainly be news to many of our
7 members at Common Cause and other consumers
8 that we've heard from, quite vociferously,
9 that they had access to more than one carrier,
10 or that they had access to broadband speeds
11 over 25 MBPS. That would be news to them.
12 And they would laugh at me if I said but the
13 official word is that you have everything that
14 you need. So I think there are some very
15 substantial gaps in how the data is collected
16 and reported. Which is one of the reasons why
17 we believe that an evidentiary proceeding is
18 necessary.

19 And the question of what the speeds
20 should be, I agree certainly the people who
21 have nothing would be grateful for 25 MBPS,
22 but within five years they will be pounding on
23 everybody's door saying everybody else has 100
24 or 300. I think the network that is going to
25 be built now is the network we're going to

Public Service Commission-Panel II
February 24, 2016

20

1 Proceedings - 2/24/16 - Panel 2
2 live with for ten or 20 years. So if we're
3 low-balling it, then we have put ourselves
4 even further behind in the international
5 marketplace. Because while, you know, what
6 we're hearing is that these are adequate
7 speeds, these are lower speeds than most --
8 than technologically advanced companies --
9 countries that we are in competition with.
10 And to the extent that there are faster
11 speeds, they are much more expensive than they
12 are in other countries.

13 So the question of symmetry is also
14 important, particularly when we're talking
15 about upstate locations or we're talking about
16 rural locations. Not having symmetry
17 absolutely is a disincentive to the
18 entrepreneurs who would be creating content
19 that needs to go up and can be very data heavy
20 if it's video, if it's programming. There are
21 all sorts of ways in which people could be
22 working from remote locations, and they are
23 not able to do that unless they're given
24 symmetry.

25 So I was frankly very struck by a

Public Service Commission-Panel II
February 24, 2016

21

1 Proceedings - 2/24/16 - Panel 2

2 comment that was made in response to the VPO's
3 RFI and analogizing our choices as whether we
4 were going to build a interstate highway
5 system that was open for all and that
6 engendered a tremendous amount of creativity
7 and competition, or whether we were going to
8 stay with a railroad model, which was very
9 limited and not open for vigorous traffic.

10 MR. YAKEL: Thank you. And I think
11 that dovetails nicely into our next question
12 that we want to present for the panel, because
13 you're talking about building -- oh, sorry.

14 MR. ARON: Thank you. I just
15 wanted to point out that during the
16 discussion, one of the things that gets left
17 out in that discussion is the entire wireless
18 industry. So we talk about advanced
19 communications networks and what that means.
20 And I don't find that there's a whole lot of
21 folks in the world clamoring to sit still.
22 They're not. You know, as every one of you
23 leaves here, you're going to be interacting
24 with your phones if you're not already doing
25 so right now. And if you are, look up. All

Public Service Commission-Panel II
February 24, 2016

22

1 Proceedings - 2/24/16 - Panel 2

2 right, that didn't work.

3 But when we talk about advanced
4 communications networks, the part of the
5 discussion that gets missed is folks want to
6 move around. The example that was given is we
7 don't want to be waiting to download while
8 we're -- we don't want to be waiting to
9 download while we're on our way to the
10 airport. Our industry makes sure that you
11 don't. I mean, the mobility factor is
12 something that's unique, and it needs to be
13 acknowledged. So if we're going to have a
14 definition of advanced services, we need to
15 make sure that how we define it is technology
16 agnostic and it's responsive to the desires of
17 the market.

18 When we look at what we're at the
19 cusp of, which is the growth of 5G, and even
20 before we get there, you know, and I can
21 talk -- I'll talk about this probably a little
22 bit later, but the growth of speeds that we're
23 at today, there's every reason to believe that
24 either before we get to 5G or certainly by the
25 time we get there we'll be satisfying the

Public Service Commission-Panel II
February 24, 2016

23

1 Proceedings - 2/24/16 - Panel 2
2 speeds that are being discussed. Yet, the
3 entire discussion is a wire to a house or a
4 business, and nothing else. And, you know, in
5 a world where everybody, again, is not
6 clamoring to sit still, there's some logic to
7 making sure that the definitions acknowledge
8 the desire for mobility.

9 MS. CRAWFORD: Just a technical
10 note on that. In order for those 5G
11 connections to work across small cells,
12 they're going to need fiber. And Verizon says
13 this right and left, they'll need fiber going
14 very deep into the networks. So we're not at
15 cross purposes here. The wireless industry
16 also needs fiber. Stockholm was the first
17 place to have four competing LTE providers
18 because they had fiber everywhere on the
19 streets.

20 MS. HELMER: Just for purposes of
21 folks who don't know me, I am Maureen Helmer.
22 For purposes of today I'm representing the
23 cable company -- the large cable companies in
24 New York State, Cable Vision, Time Warner, and
25 Charter. And I want to say a couple of

Public Service Commission-Panel II
February 24, 2016

24

1 Proceedings - 2/24/16 - Panel 2

2 things.

3 One is an agreement with a couple
4 of speakers that the speeds should be set by
5 the consumer and by the market and not from
6 the top down. Consumers know what they want,
7 they see what's on the horizon, they see what
8 they can get from other competitors. The
9 companies that are investing are looking at
10 what consumers can get from other competitors,
11 and will respond to that. And that gets into
12 our second question, so I'll stop there.

13 In terms of the PSC study, I'm no
14 longer paid to defend the PSC staff, but I can
15 tell you, just watching the information
16 requests that went back and forth and the
17 amount of work that all the parties did in
18 response to questions from the staff about
19 what I consider very granular data, they
20 weren't just looking at FCC 477's or what have
21 you. A lot of research was done, and very
22 good research was done. And what that study
23 concluded on all the platforms, video, voice,
24 broadband, et cetera, was that there are not
25 only multiple platforms, but multiple

Public Service Commission-Panel II
February 24, 2016

25

1 Proceedings - 2/24/16 - Panel 2

2 providers for all of these services.

3 And also, just to respond quickly
4 to the idea that fiber is the only solution
5 here, I mean clearly fiber has enormously
6 powerful attributes. The cable system started
7 investing money in broadband before most of
8 the rest of the industry was. And it dealt
9 with the technology it had at the time. In
10 the meantime, it has spent a lot of money,
11 again, all private investment and money from
12 private capital, in enhancing those networks
13 and adding fiber to backbones and putting
14 fiber farther out into their area, and they
15 are serving rural areas. They are serving
16 areas all over New York State. You know, no
17 one argues with the fact that there are still
18 places that don't have service. I think, you
19 know, a couple of references have been made to
20 the fact that Time Warner has made an enormous
21 commitment as part of its merger conditions to
22 serve out to enormously rural areas in the
23 state. And the exception for Time Warner out
24 of the broadband program is for that very
25 reason, is that a private company is going to

Public Service Commission-Panel II
February 24, 2016

26

1 Proceedings - 2/24/16 - Panel 2
2 put private capital into making sure that
3 broadband gets to some of the most remote
4 areas of the state that don't have it right
5 now. So, you know, I don't think you can
6 discount anything less than fiber as being an
7 advanced service because it's providing, you
8 know, very good speeds in very large areas of
9 the state. And as demand is there, fiber will
10 go out to it.

11 MR. YAKEL: Thanks, Maureen.

12 And so I want to try and take a
13 couple of different comments that were made
14 here by Susan and Ben and yourself, you know,
15 talking about this next question, which really
16 comes to the heart of getting networks to
17 places where it's not now, and advancing the
18 networks, and that's the investments. How
19 companies are deciding what money to invest,
20 where to invest it, the technology to invest
21 it in, whether they're going to do some
22 upgrade to an existing network, are they going
23 to build a complete new network. We've got
24 companies operating in New York State that are
25 intermodal that have a -- that operate a

Public Service Commission-Panel II
February 24, 2016

27

1 Proceedings - 2/24/16 - Panel 2
2 wireless network and a wire line network.
3 Some, like Verizon, which are running two
4 wired networks in tandem. Obviously we've got
5 a finite number of customers in the state.
6 Whether that customer is the individual using
7 a cell phone, or if that's a residential
8 premise or a business, we've got a fixed
9 number and we've got a lot of companies that
10 are operating in this environment.

11 So let's talk a little bit about
12 that, the network investment, the decision
13 making factors that are going into it, and how
14 do you relay in or retain reliable services
15 over those networks in this competitive
16 environment where at any given time somebody
17 may take your customer away. How about Craig,
18 could you start with that?

19 MR. MOFFETT: Sure. And by the
20 way, I didn't introduce myself last time. So
21 I operate my own firm, MoffettNathanson, which
22 is a independent research firm, primarily in
23 the financial markets. But, like Susan and
24 like an academic, I'm not paid by any of the
25 companies, for obvious reasons, that I cover.

Public Service Commission-Panel II
February 24, 2016

28

1 Proceedings - 2/24/16 - Panel 2

2 So my goal is simply to try to make forecasts.
3 And in that context the -- we've actually
4 looked for quite a long time at the returns
5 for building fiber. In fact, full disclosure,
6 in my prior life, so going back almost 20
7 years ago now, back when I was a consultant, I
8 was an advisor to what is now Verizon, doing
9 analyses on the inside of the company at fiber
10 deployments.

11 And the challenge has always been
12 that the returns on investment to be the
13 second player into a market are very
14 problematic for building fiber networks.
15 You'll recall that the largest the country has
16 seen by far is Verizon's FiOS project, a lot
17 of which was here in New York State. But
18 FiOS, when we analyzed it in 2005 and again in
19 2008, never came close to covering the cost of
20 capital and was a money losing project. It's
21 no longer a terribly important debate. It's
22 relatively clear that that turned out to be
23 the case.

24 And there are a lot of inputs to
25 the equation. The inputs are I think often

Public Service Commission-Panel II
February 24, 2016

29

1 Proceedings - 2/24/16 - Panel 2
2 assumed to be the affluence of the community
3 that you're serving on the demand side. In
4 fact, that's actually one of the less
5 important ones. The most important ones tend
6 to be supply side issues about the cost to
7 reach a particular home.

8 It is not, by the way, as many
9 people would submit, always correlated with
10 higher density, meaning equaling lower costs.
11 In fact, that's often the inverse of the case.
12 It does tend to be the case that it is cheaper
13 to deploy with aerial plant rather than
14 buried, as you can imagine, coming in from a
15 telephone pole is cheaper. But other factors,
16 like the number of trouble reports per
17 thousand lines in that given geography end up
18 being very important. That is, replacing
19 copper when the worse condition the copper is
20 in, the more economically attractive it is to
21 replace it with fiber and vice versa. And so
22 all of those considerations factor in.

23 It got a bit easier for companies
24 to earn a return in the Google model. And
25 arguably it's because of Google's brand name.

Public Service Commission-Panel II
February 24, 2016

30

1 Proceedings - 2/24/16 - Panel 2

2 But Google, when it went to Kansas City, was
3 able to deploy under a model that they called
4 demand aggregation. Which I think prior to
5 Google would have been probably criticized as
6 being red lining. But demand aggregation was
7 simply we will build it in the places where we
8 have a commitment to a very large percentage
9 of that community committing on a block by
10 block basis. Even with that benefit and with
11 lower costs associated with the fact that
12 they're now using bendable fiber, which makes
13 the labor costs lower than they used to be in
14 the Verizon FiOS days, it still doesn't appear
15 that Google is earning an acceptable return,
16 that is, a return above the cost of capital,
17 in the places where they have built so far.

18 Now, Google is building in a lot of
19 different models. They have built -- in
20 Kansas City they used a largely preexisting
21 fiber backbone, but the drops were organic.
22 In the case of Huntsville, Alabama and Provo,
23 Utah -- they just announced Huntsville the day
24 before yesterday -- they're deploying on a
25 model of a preexisting network, and they're

Public Service Commission-Panel II
February 24, 2016

31

1 Proceedings - 2/24/16 - Panel 2
2 effectively reselling and in some cases
3 refurbishing the existing fiber
4 infrastructure. In Atlanta they're wiring
5 only apartment buildings. A lot of what
6 they're doing still has the feel of an
7 experiment rather than a large scale project.

8 But as best we can tell, even
9 Google is not yet earning or -- and by not yet
10 I don't mean that the phase of the project,
11 but they still haven't found a model that
12 generates a sufficiently attractive economic
13 return that you would be doing it simply for
14 the sake of it's a good investment. They have
15 other axes to grind, which are primarily
16 regulatory, and trying to shape the regulatory
17 debate. But as an economic investment it is a
18 problematic one.

19 MR. YAKEL: Thanks, Craig.

20 So let me ask this to Ben Aron in a
21 slightly different way. When we talk about
22 wireless, when we look at the LTE network and
23 services that are available in New York today,
24 so over 80 percent of the state is blanketed
25 with wireless broadband service. If we were

Public Service Commission-Panel II
February 24, 2016

32

1 Proceedings - 2/24/16 - Panel 2
2 to look at that map just about two or three
3 years ago, there would be hardly anything on
4 there at all as far as LTE. So I want you to,
5 Ben, if you can, talk a little bit about the
6 investment on the wireless side of the house.
7 We've got four national wireless carriers, and
8 all of them are providing service in New York
9 State, and they all deploy LTE services to one
10 extent or another, with some providers
11 covering the vast majority of the state. And
12 what we see when we look at the unserved areas
13 are those areas that have historic spotty
14 service, those largely in the Adirondack and
15 Catskill regions, the forested areas. But
16 could you talk about the type of deployment
17 that the wireless companies are doing, and
18 even looking forward to things like 5G and
19 advanced networking, when you've got a very
20 diverse customer base from the suburban area
21 all the way to the very rural, like New York
22 State.

23 MR. ARON: Sure. Fundamentally,
24 you know, what the wireless companies are
25 doing is looking at what the demand is today.

Public Service Commission-Panel II
February 24, 2016

33

1 Proceedings - 2/24/16 - Panel 2

2 And the demand today is mobile data, mobile
3 video being the primary driver. And the
4 projections out are somewhat staggering. So
5 we're looking at a projection from 2015 to
6 2020 of a 600 percent growth in mobile data.
7 Today's 60, or I guess it's actually now last
8 year, but 2015, 61 percent of mobile data was
9 video, and that's projected to go up another
10 16 percent to 77 percent by 2020. So, you
11 know, we're looking at a crash of data that's
12 coming down the pike on our networks. So, you
13 know, the thing that we need to keep in mind
14 is how do we keep up with it. For every
15 network instruction, you're really looking at
16 three primary drivers, spectrum being the
17 obvious one, network, equipment, and access to
18 infrastructure being the next two big ones.

19 So spectrum. We've spent \$94
20 billion on spectrum in auctions since the
21 inception of the auction process. So we're --
22 we've invested heavily, heavily in spectrum.

23 The type of spectrum that's
24 available has different characteristics. If
25 you look at the original cellular allocations,

Public Service Commission-Panel II
February 24, 2016

34

1 Proceedings - 2/24/16 - Panel 2
2 the A and B, the cellular A and cellular B
3 blocks at the top of the 800 megahertz band,
4 the propagation characteristics are terrific.
5 They go -- they propagate quite far away from
6 the towers. Seven hundred megahertz auctions,
7 that spectrum propagates even further. And
8 the TV signals, the TV auction that's coming
9 up, I think at 600, that will, again,
10 propagate even further.

11 Those lower band spectrum also tend
12 to go through buildings. So they are what you
13 might call the work horse of any network, and
14 they're going to be attractive options to
15 build networks on. But beyond that, you still
16 need other spectrum. And mid band spectrum
17 being a great available option, between one
18 gig and, you know, four, five, six gig, to
19 fill out the networks as you can. And then
20 the high band stuff that's going to be coming
21 online, millimeter wave technologies, you'll
22 hear that term a lot, that stuff will be
23 necessary as well for high capacity
24 operations.

25 So on the spectrum side we're

Public Service Commission-Panel II
February 24, 2016

35

1 Proceedings - 2/24/16 - Panel 2
2 investing, you know, tremendously. However,
3 the hang up there, of course, is that it is a
4 13, I believe the number is 13 years,
5 certainly over a decade for spectrum to be
6 identified and brought to market. So you
7 can't wait for it, generally speaking. When
8 it becomes available you get it, but planning
9 to wait for it is probably not a very good
10 idea. So the alternative is to build more
11 network. And the term you hear a lot of these
12 days is densification. And really what we're
13 talking about is adding sites. But in an
14 environment where, if you look at the coverage
15 maps, the point was made that, you know, we
16 cover 80 to 90 to 95 percent of the population
17 of the state -- I think the Commission's
18 number showed 95 percent in a study -- you're
19 obviously not going to be -- not going to be
20 as pressed to add coverage, so you're going to
21 try to add sites. More sites add more
22 capacity to the network because each site
23 passes less traffic compared to, you know, an
24 area that's covered by one site, covered with
25 all the traffic, five sites would carry 20

Public Service Commission-Panel II
February 24, 2016

36

1 Proceedings - 2/24/16 - Panel 2

2 percent, give or take, of the traffic.

3 So there's this interplay between
4 the availability of spectrum, the ability to
5 build out network equipment, network sites to
6 add capacity to the network, and then there's
7 an interplay between adding coverage area that
8 you know you're lacking, and adding capacity.
9 And the one thing that's almost certain is you
10 never have a lack of demand of either.

11 There's always some spot on the map that you
12 could try to cover a little better. There are
13 always areas that are in need of further
14 capacity. So there's not a time period where
15 we say this is great. We just finished with
16 our capacity build and we are going to go
17 ahead and build out the rest of the coverage.
18 It just doesn't happen. People -- what we've
19 seen is, again, 600 percent data growth.

20 People are just using more and more of it as
21 we make more and more of it available. So as
22 quick as we have the ability to invest, we are
23 investing. And it's an intensive process.

24 The network equipment, you know,
25 and the spectrum relate to each other in a

Public Service Commission-Panel II
February 24, 2016

37

1 Proceedings - 2/24/16 - Panel 2
2 highly technical manner, and that is, you
3 know, the coverage footprint. So as you go
4 higher into the spectrum bands, the signal
5 gets less and less distant from the tower, it
6 propagates more poorly. So that means that
7 while it's extremely useful, it's limited in
8 its ability to provide coverage area. And,
9 unfortunately, the majority of spectrum that
10 will become available is going to be in the
11 mid range and the high -- in the mid band and
12 high band spectrum. So from a pure coverage
13 spectrum, you know, it's more challenging with
14 those spectrum bands.

15 And then the last piece of it is
16 infrastructure access. So all the spectrum
17 and all the network equipment is actually in
18 the end fairly useless if you don't have a
19 place to hang an antenna. So in hanging
20 antennas, you know, the old system, the old
21 process, everybody remembers the fight over
22 siting for towers. And those fights still
23 exist, and we do need macro towers. But the
24 majority of the footprint has been covered,
25 because we have a lot of land mass covered.

Public Service Commission-Panel II
February 24, 2016

38

1 Proceedings - 2/24/16 - Panel 2

2 So the, you know, the next things that we're
3 looking at are rooftop sites, we're looking at
4 utility poles, we're looking at right-of-ways.
5 The state parks that were discussed and
6 coverage challenges in there, we're trying to
7 get to those. But the things that we can
8 control obviously is spectrum. When it's
9 available we can buy it. Network equipment,
10 we can buy it and deploy it. I'll leave it to
11 Craig to cover access to capital and how that
12 interacts, I'm not even going to go there with
13 him on the panel.

14 But the part of it that we don't
15 control is the access to infrastructure. So
16 take a look at poles, for instance. They're
17 regulated in New York State by the New York
18 Public Service Commission. And what we need
19 really at an accelerated pace as we try to
20 roll out sites that are closer and closer to
21 the customers that we seek to serve, both due
22 to the need for capacity and due to the
23 spectrum that's available, we need to have a
24 defined process that is known, that has a time
25 line that makes sense, that allows us to

Public Service Commission-Panel II
February 24, 2016

39

1 Proceedings - 2/24/16 - Panel 2
2 predict time to market, that doesn't allow
3 endless squabbles over either the rates or the
4 terms and conditions. It needs to be a
5 defined process with a known beginning and a
6 known end that allows us to get advantages of
7 time to market. And all of those things come
8 together. So when a -- when the regulatory,
9 you know, whether it be zoning, local zoning
10 authorities, whether it be poles, whether it
11 be right-of-ways with the state, when those
12 are all, you know, facilitated cleanly, then
13 the investments become more -- more easy. So
14 you're not looking at -- you know, Atlanta is
15 a lot easier to build in or San Francisco is a
16 lot easier to build in. So as a national
17 carrier I'm going to focus where I can
18 actually get something done and plan on
19 catching up, when the very difficult -- and
20 mind you, I'm not saying that New York is or
21 isn't difficult, I don't have any of the
22 numbers on that, but when you look at it from
23 that perspective, you end up -- you know, the
24 ability to actually deploy, if it outpaces the
25 ability to plan those places where you're hung

Public Service Commission-Panel II
February 24, 2016

40

1 Proceedings - 2/24/16 - Panel 2
2 up, you're probably going to skip them and get
3 back to them, you know, in the year and a half
4 or two years it takes to get done with the
5 zoning fight.

6 So, you know, that's a lot. I'm
7 not sure, I probably got pretty far off from
8 the question, but that's a pretty good
9 starting point.

10 MS. CRAWFORD: I just want to add
11 in here about -- there seems to be some idea
12 on the panel that there's something exotic
13 about talking about fiber connectivity.
14 Here's the problem. Because there is so
15 little competition in New York State, these
16 private actors that exist right now have no
17 particular incentive to upgrade their
18 networks. In other parts of the world, so we
19 always talk about Seoul and Hong Kong and
20 Tokyo, but also Paris and Riga and Bucharest,
21 and even in little tiny towns in New York
22 State, like Naples and Bath, you can get a
23 cheap fiber to the home connection. Now, why
24 is that? That's because, as a matter of
25 policy and as a matter of long term thinking,

Public Service Commission-Panel II
February 24, 2016

41

1 Proceedings - 2/24/16 - Panel 2
2 the companies in the area decided that it was
3 worthwhile to invest in open-access middle
4 mile fiber networks to which anybody could
5 connect, right. You put those open-access
6 middle mile networks in -- and lots of New
7 York companies are interested in investing in
8 this because the private actors have no
9 particular incentive in the existing incumbent
10 market to do it -- put those open access
11 networks in, and then a last mile network can
12 be built quite cost effectively to very tiny
13 towns, and provide fiber to the home
14 connectivity for very little money.

15 So these problems all weave
16 together, because the market is so
17 uncompetitive in New York State. Existing
18 companies have no reason to upgrade. The
19 thing that needs to happen is not rocket
20 science, it's just financing for middle mile
21 access networks, and then helping towns
22 aggregate their assets and interest and money
23 to make sure they have a plan that works for
24 the long term investment into fiber. Fiber
25 may feel expensive, but that's only because

Public Service Commission-Panel II
February 24, 2016

42

1 Proceedings - 2/24/16 - Panel 2

2 you're thinking about a five year return.

3 Over many years it's 30 percent cheaper than
4 copper to maintain, and it can be upgraded
5 infinitely.

6 MS. LERNER: And that's where the
7 PSC comes in, to talk about the consumer, not
8 from the industry point of view. If you have
9 that kind of competition, if you've got an
10 open middle mile and competition to the final
11 mile, then you are actually going to have
12 market choice.

13 Because I'm afraid I disagree with
14 Maureen. The consumer isn't making a choice
15 that they want less speed. The consumer is
16 making a choice of I can only afford this.
17 And when you compare the cost of high speed
18 broadband, truly high speed broadband here in
19 New York State and in New York City, it's
20 interesting. It's provided by Verizon, and
21 the price is exactly the same in all of the
22 places that Verizon provides that speed.
23 According to the Open Technology Institute
24 it's 299.99.

25 Now, it's interesting to look at

Public Service Commission-Panel II
February 24, 2016

43

1 Proceedings - 2/24/16 - Panel 2
2 Tokyo and it's interesting to look at Seoul
3 for the -- for double that speed, consumers in
4 those very dense and hard to build out cities
5 are paying \$30 or \$39. This is really I think
6 an example of how we need a advocate for the
7 consumer, not for the customer. I'm struck
8 how the statute does not talk about customers.
9 The statute talks about consumers and the
10 public interest to providing what has become a
11 basic service. And it should -- to me this
12 discussion should be much less about how will
13 we get the companies to invest so they can
14 make more money, and it should be from the
15 consumer's point of view. And I'm concerned
16 that we're really not hearing that.

17 MS. GEDULDIG: So I think I'm going
18 to skip question three, which is an important
19 one and I'll come back to it, but I think
20 there's been a lot of commentary, both in this
21 morning's panel and today, about choice. And
22 we hear from some panelists that there is a
23 lot of choice and some from other panelists
24 that there is not a lot of choice. So perhaps
25 we can have a little bit more detailed

Public Service Commission-Panel II
February 24, 2016

44

1 Proceedings - 2/24/16 - Panel 2
2 conversation around what is competition. How
3 are the panelists here defining competition to
4 say that there is or is not sufficient choice.
5 And I was just about to ask Susan Lerner to
6 speak to that, because she talked about it so
7 much, and now that you're done drinking I will
8 ask.

9 MS. LERNER: Okay, thank you.

10 I would define choice as having
11 multiple providers providing high quality,
12 reliable service at multiple affordable
13 competitive rates. What we don't see in New
14 York is true competition in the sense that
15 there are numerous providers and they are
16 vying with each other to provide high quality
17 service at the lowest possible dollar.

18 We are falling behind the rest of
19 the world because we have relied on private
20 actors who are making a tremendous amount of
21 money, it's an impressive amount of money
22 that's been invested, but it actually pales in
23 relation to the gross volume and the ultimate
24 profit which the large telecom --
25 telecommunication companies are earning. So

Public Service Commission-Panel II
February 24, 2016

45

1 Proceedings - 2/24/16 - Panel 2

2 it seems that we need to ensure, if we are
3 going to have a competitive marketplace, and
4 this is where I agree with Professor Crawford,
5 we need to be opening up the middle mile and
6 not tying it to large telecommunication
7 companies who have failed to make that
8 investment in any place that is reasonably
9 challenging, and create the fiber and
10 telecommunication equivalent to a interstate
11 highway system.

12 MS. GEDULDIG: So the --

13 MS. ZIBELMAN: May I follow up on
14 that?

15 MS. GEDULDIG: Yeah, sure.

16 MS. ZIBELMAN: On the middle mile
17 issue -- and welcome, everyone -- the -- you
18 know, Professor Crawford, and I heard you
19 mention Seoul and Paris, but there's totally
20 different regulatory regimes in those
21 countries. It would be helpful if there are
22 other places outside of New York in the U.S.
23 where you could --

24 MS. CRAWFORD: Well, take a look at
25 Huntsville, Alabama, which, as Craig mentioned

Public Service Commission-Panel II
February 24, 2016

46

1 Proceedings - 2/24/16 - Panel 2

2 is just this week, that town is building a --
3 what's called a dark fiber network, so it's
4 not lit, it has no --

5 MS. ZIBELMAN: Right.

6 MS. CRAWFORD: -- electronics going
7 in it. But it's this basic wholesale
8 facility. And now Google has just announced
9 that they will lease capacity from that dark
10 fiber network to provide last-mile connections
11 to residences.

12 MS. ZIBELMAN: And is -- and so,
13 you know, in Huntsville is it the city doing
14 it or is it the utility?

15 MS. CRAWFORD: It's both. It's the
16 city working with the utility, that's right.

17 And there are also towns, there's a
18 town in Maine, Rockport, Maine, they did the
19 same thing.

20 MS. ZIBELMAN: But do you see
21 any -- I mean, and I'm asking this because,
22 you know, if there are stake -- I know there
23 are individual cities, I mean, we all know
24 Chattanooga.

25 MS. CRAWFORD: Right.

Public Service Commission-Panel II
February 24, 2016

47

1 Proceedings - 2/24/16 - Panel 2

2 MS. ZIBELMAN: There are great
3 examples in the U.S. But do you see anything
4 where there is a jurisdictional where there
5 seems to be a regulatory construct that's
6 being established that you -- and you or
7 anyone on the panel would say boy, New York,
8 you really ought to look at this state, they
9 seem to be --

10 (Cross talk)

11 MS. CRAWFORD: Well, Maine has what
12 they call a three ring binder, which is an
13 open access network going around the state.
14 There are billions of them. Massachusetts has
15 its own middle mile network that goes deep
16 into western Massachusetts. North Carolina
17 has a quite successful middle mile network.
18 You see, they're open.

19 There's plenty of middle mile fiber
20 controlled by Verizon and Time Warner Cable --

21 MS. ZIBELMAN: Right.

22 MS. CRAWFORD: -- in New York
23 State. The problem is, they have no
24 particular incentive to lease that to anybody
25 else.

Public Service Commission-Panel II
February 24, 2016

48

1 Proceedings - 2/24/16 - Panel 2

2 MS. ZIBELMAN: but so you're, if
3 I could -- so your suggestion would be that if
4 we need -- if we're going to build a middle
5 fiber backbone --

6 MS. CRAWFORD: Yeah.

7 MS. ZIBELMAN: -- it ought to be
8 built either by a government entity or it
9 would be -- it should be built by a
10 non-incumbent owner?

11 MS. CRAWFORD: Whoever builds it,
12 it should be subject to the requirement that
13 it's nondiscriminatory and open access. And
14 you'll see all kinds of things happen once
15 that's done.

16 MS. LERNER: I was going to say
17 that unbundling and requiring
18 nondiscriminatory access would have the same
19 impact as building out by government.

20 MR. NORDHAUS: We -- these are
21 great ideas actually, I agree with a lot of
22 what's said. But just for point of fact, we
23 actually do have some middle mile networks
24 here in New York State. We have Ion, which
25 received money in a grant program. We have

Public Service Commission-Panel II
February 24, 2016

49

1 Proceedings - 2/24/16 - Panel 2

2 DANK, Development Authority of the North
3 Country, which has open access, and I believe
4 adheres to those rules. And I guess there
5 certainly are areas of the state that don't
6 have middle mile as well.

7 MS. CRAWFORD: Right.

8 MR. NORDHAUS: And, you know, the
9 middle mile concept is very interesting. We
10 actually spend a lot of time looking at it.
11 Because if you think about a community that
12 needs access, you could think about sort of --
13 and you think, to Craig's point, about the
14 economics of that, providing service there,
15 may not be great. And if you look at some of
16 these very rural areas, the cost to provide
17 service to a customer can be negative. I
18 mean, it can be a cost, even when you take
19 into account the revenue. So you can be
20 losing 50, 60, 70 dollars a month on any given
21 customers. That's why the FCC has the CAF
22 program, because they look at it, these are
23 money losing customers, so they subsidize
24 them, otherwise those people wouldn't receive
25 service at all.

Public Service Commission-Panel II
February 24, 2016

50

1 Proceedings - 2/24/16 - Panel 2

2 But in any event, so you think
3 about how to incentivize a private sector or
4 anyone to provide service to their -- I'll
5 just wrap it up really quick and then you tell
6 me why I'm wrong -- but basically you can
7 think about getting -- let's say they do need
8 a subsidy to go there, that they could either
9 get an outright subsidy to go there, or, in a
10 way you could build a middle mile, right. If
11 you build fiber through the middle of a town,
12 you're sort of in way creating a subsidy
13 because they don't have to build the fiber.

14 So I was thinking a lot about, you
15 know, an effective grant subsidy or a middle
16 mile subsidy -- sorry, a middle mile network,
17 which is kind of in effect a subsidy, if you
18 want to think of it in those terms. Now, that
19 conceptually struck me as kind of an
20 interesting idea. And I'm just speaking
21 personally as I thought a lot about this. But
22 I just have a question for Professor Crawford,
23 as well as others, there are some examples of
24 we saw, for example, in Massachusetts, not far
25 from you, my understanding was that they had a

Public Service Commission-Panel II
February 24, 2016

51

1 Proceedings - 2/24/16 - Panel 2
2 middle mile network that was funded by BTOP,
3 they built it all through Massachusetts
4 through these small towns, and the concept was
5 the same thing, it's an effective, you know,
6 open access, it will be a subsidy, then all
7 the towns will hook up and everyone will
8 have the -- and what happened -- and I'm not
9 an expert on that particular situation, but my
10 understanding is nobody showed up.

11 MS. CRAWFORD: Right. I can give
12 some facts on that one.

13 MR. NORDHAUS: So the risk -- and I
14 would love that -- the risk would be if you're
15 a consumer here in New York, let's say that
16 folks in the room got together and said this
17 is a great idea, let's do it, let's build a
18 middle mile network to these four towns, the
19 risk, maybe it's a low risk, is that you
20 wouldn't get -- the last mile people wouldn't
21 show up. And maybe we want to place our chips
22 on that and say you know what, we'll take that
23 risk, that's the way to go, let's build the
24 middle mile and hope they come and connect
25 these homes. But in one, two, three years, if

Public Service Commission-Panel II
February 24, 2016

52

1 Proceedings - 2/24/16 - Panel 2
2 people haven't connected those homes, you
3 still have people who are left behind. And
4 that's just something that is a concern I want
5 to throw out.

6 MR. YAKEL: So thanks for that.
7 And I kind of want to tie this back to Maureen
8 first and then to John. Susan had talked
9 about the idea of middle mile and cable
10 company networks, maybe the telephone
11 company's network using that. But the real
12 question that we were trying to get at with
13 the first part of this question is about
14 competition being different and is the market
15 producing reasonable prices for broadband
16 services. So, for example, in the cable
17 industry are you looking at standard pricing
18 regardless of service area, and with respect
19 to middle mile, you know, do you feel that the
20 cable industry is offering services at
21 reasonable pricing such that the company has
22 made a business decision that middle mile
23 doesn't make sense for the industry?

24 MS. ZIBELMAN: Joe, can we just add
25 on too, because I would be interested in

Public Service Commission-Panel II
February 24, 2016

53

1 Proceedings - 2/24/16 - Panel 2
2 hearing from all the panelists, because this
3 is one of the things that we debated, is it a
4 middle mile issue or is it a last mile issue
5 or is it both?

6 MS. HELMER: It depends where you
7 are.

8 MS. ZIBELMAN: I'd like to hear
9 from all of you, your thoughts on that.

10 MS. HELMER: Yeah. It depends on
11 where you are, Chair, obviously. And to the
12 extent that there are areas of the state which
13 do not have service and are not likely to get
14 service, you know, dealing with the middle
15 mile and having a program is, you know, it's a
16 great thing.

17 But I'm still kind of reeling from
18 the idea that cable companies don't have
19 incentive to invest in their network. I mean,
20 it just -- it's not factually correct. They
21 have incentive, they have invested billions of
22 dollars, they continue to invest billions of
23 dollars. They have every incentive to keep
24 the customers that they have and to get more
25 customers. They compete against Direct TV,

Public Service Commission-Panel II
February 24, 2016

54

1 Proceedings - 2/24/16 - Panel 2
2 they compete against the wireless industry,
3 they're competing an all forms of platforms.
4 Maybe not on all of these in every single part
5 of rural New York, but in the large portions
6 of their areas, they're under intensive
7 competition. And you can see that by the
8 extent to which folks have migrated from
9 either cable service to wireless service or
10 from landline service to wireless or cable
11 service. There is competition out there. Is
12 it perfect, no. But competition is never
13 perfect. But in terms of incenting the
14 industry to invest in its networks, it is a
15 continuous cycle of investment.

16 The demand for higher speeds
17 continues to go up, and it is being met. Even
18 in rural New York there are -- there are areas
19 where folks have a high demand for high speed,
20 and the industry is meeting it. But in the
21 meantime, there are a lot of barriers. And,
22 you know, we talked a little bit about access
23 barriers, such as getting into buildings. And
24 the Commission has a very good and unique role
25 in terms of orders of entry where it really

Public Service Commission-Panel II
February 24, 2016

55

1 Proceedings - 2/24/16 - Panel 2

2 assists, whether it's telephone companies or
3 cable companies, in terms of getting into
4 buildings, particularly in municipal areas.
5 Pole attachment issues are huge. I mean,
6 they're probably the most boring issue that
7 the Commission deals with, but --

8 MS. ZIBELMAN: Thanks a lot.

9 MS. HELMER: But when you're in a
10 real rural area and, you know, you're at that
11 last mile, you're at the farm that's at the
12 corner of the, you know, by the mountain and
13 nobody can get at it, and suddenly you have an
14 issue where you've got a build plant and maybe
15 cross over another franchise that's not yours
16 or that doesn't have a franchise, and suddenly
17 people are telling you you've got to replace
18 all the poles from here to there because, you
19 know, the local municipality is tired of
20 fixing their poles, you know, there are a lot
21 of barriers in rural areas. And obviously
22 decisions are made, but they're also made
23 geographically, you know, with large
24 international companies and particularly
25 multi-regional companies in the United States.

Public Service Commission-Panel II
February 24, 2016

56

1 Proceedings - 2/24/16 - Panel 2
2 They're -- decisions have to be made as to
3 where to put investment. And the kinds of
4 things that are very important are the level
5 of regulation, are the certainty of
6 regulation, knowing that you don't invest
7 today under a basic set of assumptions and
8 that two years from now it's going to be
9 completely put on its head and go in a
10 different direction. It's taxes. It's pole
11 attachment issues. It's environmental issues.
12 It's all the issues that were raised in terms
13 of the difficulties in putting infrastructure
14 in any part of the state.

15 So, you know, I just, I cannot say
16 enough the investment is being made in the
17 state. And if you want a state to look at
18 that's a success story, it's New York.

19 MS. CRAWFORD: Just to talk about
20 the level of competition, because that seems
21 to be a crucial inquiry, we know that if Time
22 Warner Cable and Charter merge, they will face
23 competition from FiOS in just 12 percent of
24 their territory. So Verizon is not
25 overlapping with Time Warner Cable - Charter.

Public Service Commission-Panel II
February 24, 2016

57

1 Proceedings - 2/24/16 - Panel 2

2 And same thing with Frontier. There's very
3 little overlap between their territories.

4 People -- where the cable
5 connection is reasonably priced, people will
6 flee DSL, because the capacity of cable for
7 high speed Internet is so much greater, right.
8 So cable is very successful in those markets.
9 And because Verizon is really backing off from
10 doing more with its wires in New York State,
11 not maintaining the copper, squeezing the
12 copper for as long as they can, and not
13 installing any more FiOS, that means that
14 cable really stands alone for these high
15 capacity wires in New York State. That means
16 they're not facing competition, and that means
17 they have no particular incentive to upgrade
18 to last mile fiber. Much of their cap X in
19 prior -- these years recently has been into
20 set top boxes and leasing to premises
21 equipment, not into their basic
22 infrastructure.

23 So then you say well, what about
24 wireless, is that competitive. And the
25 wireless industry is right to point out that

Public Service Commission-Panel II
February 24, 2016

58

1 Proceedings - 2/24/16 - Panel 2
2 they're going to be able to offer high speeds.
3 But you have to look at very carefully. Does
4 that mean capacity, does that mean the ability
5 to have a lot of bits being used a month at a
6 reasonable price? No. Given usage caps and
7 given the distance, you have to be next to the
8 tower in order to get that speed, and given
9 the price of a wireless connection, it's not
10 substitutable for what you can do over wired.
11 It's clearly complementary and important, and
12 we're absolutely right that it's mobile, it's
13 the future. But without a fast, cheap wire in
14 everyone's home, they won't be getting a world
15 class connection.

16 MR. YAKEL: Thanks.

17 And, John, you were going to add
18 something?

19 DR. MAYO: Sure. I think it's
20 useful to ask the question what is the problem
21 we are trying to address. The problem we're
22 nominally talking about here sort of spans
23 both the questions that you asked, both the
24 competition question and the investment
25 question. But if you -- you might ask under

Public Service Commission-Panel II
February 24, 2016

59

1 Proceedings - 2/24/16 - Panel 2
2 whatever definition of competition that we
3 have, is that driving sufficient investments.
4 And we know that how investments are done, and
5 I'm not an investment analyst or an investment
6 advisor, nor have I ever been in a room when
7 those decisions were being made. So for me
8 anyway it's sort of a more, let's say, two
9 levels, a principle level and sort of what are
10 the good economic principles, and number two,
11 what are the data.

12 So at the economic principle levels
13 you have to -- I know what we teach MBA
14 students is to invest in assets where the rate
15 of return, the expected rate of return on an
16 asset exceeds the cost of capital. That's
17 what we teach at Georgetown, they teach it at
18 Harvard, they teach it at every single
19 business school in this country. And in fact
20 that's what business people go out and do.
21 And if you were -- and what's really
22 interesting is that if you were to derive an
23 optimal level of investment, because here part
24 of the debate is what's the optimal level of
25 investment. There's an implicit discussion

Public Service Commission-Panel II
February 24, 2016

61

1 Proceedings - 2/24/16 - Panel 2
2 point where the returns to investing
3 commercially in geographic areas will be
4 limited. And that is a worthy discussion. If
5 the public decides we need to reach that final
6 two percent of people or three percent or five
7 percent of the people in the state, then we
8 can have a discussion about that. In fact,
9 the state has had that, this discussion, with
10 the Governor and the legislature and
11 introduced the New NY Broadband Initiative
12 Plan to invest \$500 million in the state to
13 ensure that extra coverage. And to fund that,
14 and this is an important compliment to the
15 state, to fund that out of the general tax
16 revenues rather than a specific set of
17 customers. It's a great public-private
18 partnership approach. But it -- but just to
19 circle back to my first point is, I'm not sure
20 that we have an investment problem.

21 MS. LERNER: I am happy to hear you
22 say that because I think we have a results
23 problem from a consumer point of view. If you
24 go into -- if you talk to any of the consumers
25 who answered our surveys, who say that they

Public Service Commission-Panel II
February 24, 2016

63

1 Proceedings - 2/24/16 - Panel 2
2 What's happening to all of that money? Can it
3 be repurposed with a redefined set of basic
4 service requirements to help subsidize the
5 final mile in places where you have
6 infrastructure in one part of the town but not
7 the other.

8 And also what we've been seeing,
9 from a number of towns throughout the state,
10 is a great desire to build out, to have a
11 black fiber network or to have the middle mile
12 come to their towns and to be able to put
13 together a package. And we're talking about
14 municipalities as diverse as Yeats, California
15 and Syracuse. So I think there are a lot of
16 tools, but we have to be looking at the result
17 and not so much how much money is invested and
18 what's the return to the company. Companies
19 seem to be doing pretty well.

20 MS. GEDULDIG: So I am jumping
21 around a little bit on the questions because
22 just keying off on the conversation.

23 I also want to note that Travis
24 Litman from the FCC, from Commissioner
25 Rosenworcel's office, was intending to be here

Public Service Commission-Panel II
February 24, 2016

64

1 Proceedings - 2/24/16 - Panel 2

2 but was stuck on the tarmac as of about an
3 hour ago in D.C. So he sends his regrets.
4 And we'll have to let him know how this went.

5 But there's a couple of points I
6 want to take off of. One of them was, you
7 know, Susan was talking about wireless and
8 whether or not it's a suitable alternative to
9 wire line broadband, and that is a question we
10 have on here to direct first to Ben. Are
11 advanced wireless networks a suitable
12 replacement for wire line. If they're not,
13 what's in the works and what would need to
14 happen -- we'll start with Ben, but everyone
15 else -- what would need to happen to make them
16 a suitable alternative. And given the
17 increasing demand for band width and wireless
18 and mobile connection, is that something that
19 the industry is looking to do.

20 MR. ARON: So I think that, you
21 know, to tackle the first part first. So
22 that, you know, is an advanced wireless
23 network a suitable replacement. I think that
24 the answer really is that there isn't one
25 answer. I mean, the answer fundamentally is

Public Service Commission-Panel II
February 24, 2016

65

1 Proceedings - 2/24/16 - Panel 2
2 does the consumer want it to be an
3 alternative, are they going to adopt it, are
4 they going to cut the cord, are they going to
5 take that as their sole service. If they do,
6 if they do, then they've made that choice
7 themselves. So I think in a very fundamental
8 level, and certainly in the voice market, a
9 lot of that is happening. And then I think as
10 the broadband market matures, as LTE -- as the
11 advanced LTE networks get built out we might
12 see more of it. As spectrum gets put into the
13 pipeline and there's more capacity built into
14 the networks, we might see even more it. So I
15 think that, you know, fundamentally consumers
16 need to make that decision. And if they do,
17 then the answer for them obviously is yes.

18 I think that, you know, and I
19 touched on this before, I mean, mobility
20 offers a use case that is simply not present
21 in terrestrial networks. So the -- part of
22 the question becomes what, you know, what is
23 it that you're trying to do. I mean,
24 certainly if you're traveling constantly, then
25 you're going to want wireless service and a

Public Service Commission-Panel II
February 24, 2016

66

1 Proceedings - 2/24/16 - Panel 2
2 robust wireless service. If you rarely ever
3 travel, then, you know, there might not be as
4 much of a use case and you might simply be
5 able to be home with a WiFi network and that
6 might be adequate.

7 So, you know, these are -- at a
8 fundamental level these are really basic
9 consumer questions. What do they see as
10 alternatives. Do they see them as parallels
11 that complement each other, do they see them
12 as alternatives where they want to use one or
13 the other. I think that, you know, you're
14 looking really for a technology agnostic
15 answer to that question and leave it -- you
16 know, to leave it to the customer.

17 And we filed an ex parte letter
18 with the FCC on late January, it was the 22nd.
19 And in that ex parte letter we asked the FCC
20 to dedicate a \$500 million annual mobility
21 fund. So part of the prior discussion was,
22 you know, in USF and how is money being spent
23 for that, and the CAF program has just had
24 its, you know, the CAF II just had its initial
25 tranche and then it's going to go to auction.

Public Service Commission-Panel II
February 24, 2016

67

1 Proceedings - 2/24/16 - Panel 2

2 And in 2018 the FCC has indicated that it
3 would take a look at the extremely high cost
4 areas.

5 So I think that, you know, A, you
6 need a technology agnostic solution. B, you
7 need the consumers to decide. From CTIA's
8 perspective we think that there should be a
9 dedicated fund for wireless annually. And I
10 think that when all of those factors come
11 together, you're going to empower consumers to
12 make decisions that make sense for them, and
13 you're going to allow, you know, sort of a
14 technology agnostic investment in the market,
15 which would also help.

16 You know, another piece of this
17 that -- that probably needs to be looked at is
18 the broadband for Lifeline. So the FCC is
19 going to look at whether to add it, in the
20 very near future they're going to address
21 that. And if you look at the voice market for
22 Lifeline, you found a, you know, competition
23 in a market that really just didn't exist,
24 right. I mean, there was no clamoring to
25 serve the low -- the less affluent communities

Public Service Commission-Panel II
February 24, 2016

68

1 Proceedings - 2/24/16 - Panel 2
2 with voice service. It was sort of a
3 backwater. And now you have companies that
4 really are specifically targeting them for
5 voice service. So if you put Lifeline for
6 broadband into the mix, then you might see
7 that there will be, you know, for those less
8 affluent communities hopefully that will
9 develop some competition to serve them as
10 well.

11 And insofar as that all of those
12 factors are coming together, I think it's an
13 interesting time to ask the question. And I
14 think that if you have a technology agnostic
15 solution or approach to it, then you're going
16 to empower the consumers to make the decisions
17 that make sense for them, you know, and
18 hopefully they make good decisions.

19 MS. CRAWFORD: Just if I could,
20 very, very briefly, we seem to be leaving
21 price out of this discussion. Eighty-three
22 percent of mobile data subscribers also have a
23 wired home. So if you can afford it, you have
24 both. In countries and places where the wires
25 at home are cheap and fast, people always have

Public Service Commission-Panel II
February 24, 2016

69

1 Proceedings - 2/24/16 - Panel 2
2 a mobile connection and a wire at home.

3 In America, smartphone only
4 adoption is very tightly correlated with
5 socioeconomic status. And we are at risk of
6 creating two Americas and entrenching
7 inequality by saying to poor Americans, you
8 just go ahead and rely on your smartphone.
9 People don't do the same things using their
10 smartphone. If you tried to swap your usage
11 of a wire into your smartphone usage, you'd be
12 paying \$500 a month. So when we talk about
13 substitutability, price has to be relevant to
14 the discussion.

15 MR. NORDHAUS: Yeah. I mean the
16 three -- I agree, the three factors that we've
17 looked at in the broadband office for, you
18 know, is it a viable is -- I'll just reflect
19 on what you were saying -- is speed,
20 reliability and cost. And there are probably
21 others. But if you look just at -- and you
22 made the point about symmetrical service. If
23 you think about, okay, what -- and we spoke
24 about in the beginning of the panel about what
25 are the speeds necessary, wireless technology

Public Service Commission-Panel II
February 24, 2016

70

1 Proceedings - 2/24/16 - Panel 2
2 is unbelievable, right. I mean, the things
3 that have happened over the last ten, 20
4 years, the speeds, the capacity with video,
5 what we can get now that we could never get
6 before. And with 5G, those will continue to
7 improve. But for consumers today, you have to
8 say okay, is it sufficient given the needs of
9 the consumers today. So speed is one.
10 Obviously it's not as fast as fiber, although
11 it's used in the backhaul, as you noted.

12 Reliability. In some of the
13 studies that we've done, some consumers have a
14 good experience, some consumers haven't had as
15 reliable of an experience. It depends on
16 where you live. It's a little bit goes back
17 to the thing we were talking about New York as
18 if it's one entity. You know, New York is not
19 one homogeneous region. Anyone who lives here
20 in the city, they know New York City. But
21 folks who live in Albany, they know what it's
22 like there, and people who live in Plattsburgh
23 or the Southern Tier or Buffalo, where the
24 snow features can be very different. New York
25 has a very heterogeneous geography, there's a

Public Service Commission-Panel II
February 24, 2016

71

1 Proceedings - 2/24/16 - Panel 2
2 lot of different topographies, a lot of
3 different areas. So when we talk about
4 deploying broadband in New York State, there's
5 a lot of different regions to take into
6 account. And so reliability can be different
7 in different areas. It has to do with
8 coverage as well, obviously.

9 And then cost was spoken about. A
10 lot of the offerings that are out there now do
11 contain a data cap on the wireless side.
12 Probably to a greater extent than the wired
13 side. And so to the extent, you know, you're
14 trying to use it as a substitute at home, if
15 you have a data cap that can obviously be
16 problematic. To the extent some of those
17 things change in the business model going
18 forward, perhaps as a true substitute that
19 would start to align.

20 MS. ZIBELMAN: So just to follow on
21 on that particular point, one of the things
22 that -- sort of an observation -- it just
23 seems to me that it's the providers, when they
24 come talk to us, talk about having a
25 ubiquitous service, both landline and mobile.

Public Service Commission-Panel II
February 24, 2016

72

1 Proceedings - 2/24/16 - Panel 2

2 And certainly if you look at the advertising,
3 that seems to be the desire is you have one
4 provider and they meet all of your
5 communication needs at home, on the road, at
6 work, et cetera. And does that -- I mean that
7 sort of in that sense might -- I understand
8 your point about people having to select one,
9 maybe they'd like all but they can only afford
10 one, that they pick mobility because that
11 seems to be the essential service anymore, you
12 know, for a lot of reasons.

13 I'm not sure where that takes us,
14 though, in terms of where for us in looking at
15 policy. I mean, because that would suggest --
16 it seems to me that would suggest once you
17 select a provider, and they become your
18 ubiquitous provider, the stickiness issues are
19 going to become even greater, right. Once
20 it's going to be -- when someone is providing
21 your content, your home line and your cell
22 service, moving from one provider to another
23 is going to be highly unlikely.

24 MS. LERNER: Yes. And also, the
25 ability to negotiate any terms, which

Public Service Commission-Panel II
February 24, 2016

73

1 Proceedings - 2/24/16 - Panel 2

2 consumers in New York absolutely do not have.

3 MS. ZIBELMAN: Yeah. I don't know
4 if it's a bad thing or not, but it seems like
5 a likely outcome, or desired outcome, in fact,
6 for the vendors.

7 MR. ARON: No, no.

8 MS. HELMER: I was just going to
9 say that one of the positives that comes out
10 of that problem, you know, of having multiple
11 services provided by a provider is that you
12 are getting more inroads into areas like rural
13 New York, because there are three or four
14 products that can be sold to a particular
15 consumer, whereas if all that was being sold
16 to that consumer was a voice service, I mean,
17 we saw for years you didn't get any additional
18 providers. But now, because of the multiple
19 services, you do see more inroads in rural
20 areas.

21 MR. ARON: So, you know, I guess a
22 couple things. You know, one of the things
23 that we benefited from tremendously, or let me
24 touch on two of them. One of them is a
25 national approach, right. So in the most

Public Service Commission-Panel II
February 24, 2016

74

1 Proceedings - 2/24/16 - Panel 2
2 rural areas of the state the rate plans that
3 they're enjoying are the same as they are in
4 the most urban, where we are, right. In
5 Manhattan you pay the same rate for service
6 from the national carriers as you do in, you
7 know, in upstate. So there's benefits there,
8 both on the equipment side, the handset side.

9 At CTIA in particular we have the
10 CTIA's consumer code, and it is twelve
11 principles that are designed to tackle a lot
12 of these issues. Including one of the recent
13 ones is handset unlocking to enable consumers
14 to do what you're talking about, which is not
15 have this problem with stickiness.

16 But even as that's happening,
17 you're looking at one of the national carriers
18 bought Direct TV. So, you know, you're seeing
19 that there's a convergence amongst them. And
20 the carriers are, to their credit, trying to
21 find unique ways to, A, differentiate
22 themselves, and B, provide services that are
23 satisfactory on all levels. So they're going
24 to provide at your house, you know, the
25 broadband that's at a higher speed than you

Public Service Commission-Panel II
February 24, 2016

75

1 Proceedings - 2/24/16 - Panel 2

2 might see throughout the mobile network, at
3 least for now. And, you know, the market's
4 trying to solve these problems.

5 So the light touch regulatory
6 regime has really been working. And it's, you
7 know, sometimes I think frustrating to watch
8 because it can be a slow process. And I
9 imagine for a regulator there's a desire to
10 push it along. But the success of the, you
11 know, the '93 Act and the '96 Act and -- has
12 been tremendous, you know, it really has been
13 a sea change in the market.

14 And then on the flip site of this
15 the other point I wanted to make was, you
16 know, we keep moving this in what is
17 broadband. So not that long ago I think we
18 said it was 4/1, I think it was, or maybe it
19 was 10/1, and then it became 25/3. And as
20 we're moving that along, obviously from a
21 regulatory perspective there's sort of a, you
22 know, keep moving the carrot so people catch
23 up with it. And then when you dedicate USF
24 money to help -- sorry -- to help -- don't
25 tell them I took that off, I don't want to get

Public Service Commission-Panel II
February 24, 2016

76

1 Proceedings - 2/24/16 - Panel 2
2 in trouble -- when you dedicate -- when you
3 dedicate USF money, you of course incent them
4 very directly to do that. But when you look
5 at, you know, the wireless industry, the
6 numbers that we're talking about and, you
7 know, admittedly data capacity being
8 constrained by a lot of factors that are
9 difficult to overcome. But the numbers are
10 astounding. So we're talking about ten times
11 the number of devices that you can operate at
12 a single cell site today, ten times more
13 tomorrow. So the example I heard was 2,000
14 devices within one square kilometer. Which
15 obviously in this environment wouldn't make a
16 dent at all, but just in, you know, whatever
17 the test case was for that. Twenty thousand
18 devices within one square kilometer at 5G.
19 And the speeds are one hundred times today.
20 So you're actually looking at one gig being
21 the standard speed in a 5G environment.

22 Having said that, I read an article
23 this morning that Verizon announced that it
24 had tested multiple gig 5G technologies using
25 today's available equipment. So you're

Public Service Commission-Panel II
February 24, 2016

77

1 Proceedings - 2/24/16 - Panel 2
2 talking about multiple-in, multiple-out
3 antennas, you're talking about beam forming
4 and a lot of really, really, really boring
5 engineering stuff. But the exciting thing is
6 that the private market's solving this
7 problem. We want as many of those customers
8 to give us -- you know, to buy our service and
9 to use us as, you know, their sole provider.
10 And to the extent that there's multiple, you
11 know, modalities being the common approach
12 today, obviously if that continues to be the
13 case, great. But I think that as you look at
14 the market trying to catch up and take more of
15 the -- take more of the consumer spending, it
16 is catching up, and it's catching up by leaps
17 and bounds. Once we get to 5G, hopefully with
18 enough spectrum it will really be a big game
19 changer and answer your question in a very
20 different way than I think we might be
21 answering it today.

22 MS. CRAWFORD: Just to pile on too,
23 imagine a marketplace with multiple providers
24 selling 5G. That's only possible with fiber,
25 deep in the neighborhoods, deep in the

Public Service Commission-Panel II
February 24, 2016

78

1 Proceedings - 2/24/16 - Panel 2
2 business districts. So these two stories fit
3 together. Open access fiber.

4 MS. LERNER: But again, you know,
5 my concern is for the ultimate consumer, who
6 has no bargaining power in this marketplace
7 with many competitors who basically set
8 identical terms. Force arbitration, have
9 lengthy contracts which are available. One
10 will adopt a clever idea which gets more money
11 out of the consumer, and surprisingly all of
12 the others think it's a great idea and pile
13 on. So there's no counterbalance. And it's
14 the PSC that should be the counterbalance in
15 the wireless marketplace.

16 DR. MAYO: But Susan, if I could,
17 just to jump in, just to actually return to
18 the question that was originally asked, which
19 is whether wireless and wire line are
20 substitutes or complements. Just, there is an
21 economic framework for thinking about this.
22 It's looking at the -- at the responsiveness
23 of consumption of one product to changes in
24 price of the other product. And I will say
25 that that study, those studies haven't been

Public Service Commission-Panel II
February 24, 2016

79

1 Proceedings - 2/24/16 - Panel 2
2 done yet. So I don't think it's possible,
3 based on a discussion of simply the technical
4 characteristics of a particular type of
5 service, whether that's wire line or wireless,
6 to declare that they are or are not
7 substitutes for broadband services.

8 We know, we do know that, as an
9 empirical matter, on voice services, wireless
10 and wire line have become substitutes. And
11 it's not just my opinion. In the last year
12 there have been three peer reviewed
13 econometric studies documenting this. So it
14 can happen. Whether it's going to happen in
15 broadband or not, the jury is still out on
16 that I think. We know that.

17 But one thing that we do know is
18 that wireless and wire line have different
19 characteristics. One has a superior
20 through-put, but the other has the superior
21 attribute of ubiquity. And the real answer to
22 the question is not going to be answered by a
23 consumer advocate or an academic or an
24 investment analyst, but by consumers, by
25 looking at the behavior of consumers and

Public Service Commission-Panel II
February 24, 2016

80

1 Proceedings - 2/24/16 - Panel 2

2 whether they value that ubiquity more than
3 they value the through-put. And both of those
4 are, by the way, changing very, very rapidly.
5 Which is all sort of I think interesting, but
6 it brings us to the question of what can the
7 Public Service Commission possibly do about
8 this. And the thing that you I think are
9 interested in is providing a set of positive
10 economic metrics to consumers of New York on,
11 for instance, price, output, investment,
12 quality and so on. And there I think you do
13 have it in your interest to see that as many
14 of these technologies compete head up with
15 each other as is possible. So there is a
16 reason why we should be interested in this.

17 Which then asks the question, okay,
18 what can we do as policy makers, what could we
19 do as policy makers to help that process
20 along. And I think the answer there is one
21 that's maybe not so much in your control, and
22 then some that are in your control.

23 The one that's less in your control
24 is availability of spectrum. And there's a
25 wide chorus of people around the country that

Public Service Commission-Panel II
February 24, 2016

81

1 Proceedings - 2/24/16 - Panel 2
2 have thought about this for a long, long time.
3 If you've got the demand for wireless services
4 exploding and you don't have the availability
5 of spectrum, a necessary input to wireless
6 services expanding at a proportional rate,
7 it's going to put upper pressure on wireless
8 services and retard deployment, retard the
9 ability of that substitutability for service.
10 So that probably is in the control of federal
11 agencies, NTIA, FCC and so on.

12 There are some things that you
13 might think about, and I don't know -- have
14 the granular details, but as things like 5G
15 come along, with new network investments that
16 will be necessary at the local level, at the
17 very local level, there are things that
18 perhaps you can do, as a Public Service
19 Commission here in New York, to either to
20 facilitate, to grease the skids, to enable
21 those investments in the fastest possible
22 manner possible. And that would be a very
23 positive development I think as it comes
24 forward.

25 MR. MOFFETT: I think from the

Public Service Commission-Panel II
February 24, 2016

82

1 Proceedings - 2/24/16 - Panel 2
2 perspective of the investment community, and I
3 know we're spending a lot of time on this
4 question, but I think it's warranted because
5 it is probably the most important question,
6 which is, is there a point at which wireless
7 and wire line networks emerge as true
8 substitutes. I think it's fair to say that
9 they are not today. That, for the reasons
10 that Susan outlined, both Susans outlined, the
11 cost simply isn't competitive for a customer
12 to try to swap out that level of usage.

13 From what we've seen so far of what
14 are admittedly somewhat provisional
15 specifications of 5G that Ben was talking
16 about, and that the vendor community have been
17 talking about now for some time, and also
18 millimeter wave that was mentioned earlier,
19 which is a somewhat different wireless
20 technology, both technologies have better than
21 a reasonably good chance of being true
22 substitutes. In fact, from where we stand
23 today, it looks quite likely that they will
24 become meaningful substitutes for the first
25 time. And from a policy perspective that is

1 Proceedings - 2/24/16 - Panel 2
2 an extraordinary change, because the challenge
3 with wire line networks is always that the
4 fixed cost of entry in a wire line network is
5 so large, and the return on what is -- the
6 available returns for a second player in the
7 market to build one are typically so poor that
8 it is very rare to find the circumstance for
9 two competing wire line networks to be
10 economically viable.

11 Wireless networks, while they're
12 still in the broad spectrum of, if you'll
13 forgive the pun, of businesses largely fixed
14 and low variable cost, are nowhere near as
15 fixed and nowhere near as, therefore, low
16 variable cost, as wire line networks are. The
17 capital investment in wireless networks
18 behaves more like a variable cost. And
19 therefore it is much easier to imagine the
20 kind of incremental expansion of wireless
21 networks into competition with each other and
22 with wire line networks without that same
23 incredibly high hurdle that never seems to get
24 crossed with a second wire line network.

25 So that's an elaborate way of

Public Service Commission-Panel II
February 24, 2016

84

1 Proceedings - 2/24/16 - Panel 2

2 saying I think this problem may actually take
3 care of itself to a great extent.

4 AUDIENCE MEMBER: What about the
5 cost of spectrum? What about the cost of
6 spectrum?

7 MR. MOFFETT: Well, it depends. If
8 we're talking about reasonably high frequency
9 spectrum, the answer is, you know, millimeter
10 wave spectrum right now is extraordinarily
11 inexpensive. And it's partly because there is
12 so much of it. And I suspect that will
13 probably continue to be the case. Certainly
14 relative to the low frequency spectrum bands,
15 or what today passes as mid band spectrum.

16 Even in 5G we're talking about
17 different spectrum bands for the standards
18 setting organizations than what we are using
19 today, and they are expected to be quite a bit
20 less expensive, because again, the bands are
21 quite a bit larger and they're much less
22 contested for with government agencies and
23 military and what have you.

24 MS. CRAWFORD: I just want to make
25 sure there's no confusion here as we talk

Public Service Commission-Panel II
February 24, 2016

85

1 Proceedings - 2/24/16 - Panel 2
2 about these two technologies. To say wireless
3 is going to be great, we're going to
4 substitute for wire line, is like saying who
5 needs airports, we've got airplanes, right,
6 because that wireless, all that data, that
7 tsunami of data has to go somewhere, and that
8 requires a wire line network deep into every
9 neighborhood.

10 MR. MOFFETT: Yeah. And that's
11 actually very interesting. So if you think
12 about what is the natural end game of a
13 wireless network. Well, as Ben said, the CTIA
14 would tell you that where the investment is
15 going is densification, right, which is
16 smaller and smaller radii of cell sites.
17 Well, what's the logical end game of
18 densification, it's smaller and smaller cell
19 sites with wires running to each one until
20 eventually you have a wire running to every
21 house with a WiFi network again. Well, that's
22 what we have today in the cable network. And
23 so eventually cable networks and wireless
24 networks will actually look an awful lot like
25 each other, and they will become much more

Public Service Commission-Panel II
February 24, 2016

86

1 Proceedings - 2/24/16 - Panel 2
2 competitive. So in some ways it is a simple
3 juristic for saying here's why they will
4 actually turn out to be quite competitive,
5 because the end topology of both networks is
6 largely identical.

7 MS. CRAWFORD: Or the local
8 monopoly will buy the wireless company.

9 MR. MOFFETT: Right.

10 MS. LERNER: And I think, you know,
11 there are certain assumptions and certain
12 statements that have been made. It goes back
13 to the Coalition's desire to have evidentiary
14 proceedings to test the assumptions and
15 assertions that are made. Hopefully they are
16 accurate, but without the data to really test
17 them, I think the PSC is at a disadvantage.

18 MS. GEDULDIG: So there's been a
19 lot of conversation around investment and
20 outputs. And I think we keep driving back to
21 a little bit of the same point, that there's a
22 lot deployed in one -- in the majority of the
23 state, but there's still those outliers that
24 don't have a lot of cell, they don't have a
25 lot of cable, they don't have a lot of the

Public Service Commission-Panel II
February 24, 2016

87

1 Proceedings - 2/24/16 - Panel 2

2 other wire line technologies because they're
3 remote and difficult to get to. So, which is
4 another aspect of the digital divide. So our
5 next question focuses on that and how has the
6 digital divide changed with the convergence of
7 technology, are there different types of
8 digital divides, is it by socioeconomic, is it
9 by geography, or both. And I'll direct that
10 first to Susan, whichever.

11 MS. CRAWFORD: You have two Susans.

12 MS. LERNER: I would say both. I
13 think there are socioeconomic divides for
14 certain. And there are also geographic
15 divides. Sometimes they feed into each other.
16 Certainly in urban areas they tend to be, but
17 not exclusively, socioeconomic. And certainly
18 when we get into the more rural areas of the
19 state, entire areas of counties that have to
20 rely on cellular satellite services for
21 Internet, at great cost. So it's hard to
22 separate the two sometimes.

23 MS. CRAWFORD: A new 21st century
24 version of the digital divide is between
25 communities that care about having advanced

Public Service Commission-Panel II
February 24, 2016

88

1 Proceedings - 2/24/16 - Panel 2
2 networks that are free and cheap and
3 communities that don't. Not free but
4 available and cheap. Because where -- there's
5 so much capital lying around, there's a lot
6 money. What we need is financing for a 21st
7 century network, which, as many hundreds of
8 communities across the United States are
9 deciding, has to be fiber. And you will make
10 money until the sun explodes on the gradual
11 payments that come out of a fiber network that
12 will make it worth it to you, if you're
13 patient, to put in the money to build it. So
14 this is Craig's problem, the second comer has
15 no incentive. Well, there are people with
16 different incentives, and sometimes the
17 community has the incentive to ensure that it
18 has a terrific network that is not captive to
19 any of the existing uncompetitive players.

20 So that new digital divide is
21 coming up in sharp relief. There are a number
22 of cities and hamlets and, you know,
23 unincorporated areas in New York State that
24 are -- that are fed up with the current
25 situation and are making plans to finance the

Public Service Commission-Panel II
February 24, 2016

89

1 Proceedings - 2/24/16 - Panel 2
2 building of 21st century fiber networks.

3 What the Commission could do is
4 advise the Governor to set up local
5 infrastructure banks or a system of state
6 guarantees for loans to actors who are
7 interested in serving a community with a
8 well-defined plan to put in this kind of open
9 access facility that would drive down costs as
10 retail actors competed across dark fiber to
11 provide services to residences and businesses,
12 that would be infinitely scalable, and would
13 not have to be replaced five years from now.
14 We think that fiber has an effective life of
15 40 to 50 years. And if -- without tearing it
16 out of the streets you can upgrade it just by
17 installing new electronics. So if you're
18 looking for places to place that, that new
19 digital divide could be addressed by helping
20 communities make these plans and by providing
21 loan guarantees or facilities that lower the
22 cost of capital.

23 COMMR. SAYER: Should the
24 Commission directly subsidize that kind of
25 endeavor through some kind of universal

Public Service Commission-Panel II
February 24, 2016

90

1 Proceedings - 2/24/16 - Panel 2
2 service funding with a charge on telephony
3 subscribers, cellular subscribers, broadband
4 subscribers, or should this be left more to
5 the economic development agencies?

6 MS. CRAWFORD: That's an
7 interesting question and not one that I've
8 pondered deeply enough to answer. It seems to
9 me that there is enough capital out there
10 anxious to do this. Anxious for those long
11 term until the sun explodes returns that you
12 might not have to set up a universal service
13 fund to do it. Just guarantee the financing
14 so it's at a lower rate. There are sovereigns
15 in other countries that might want to do that.
16 There are international pension funds. God
17 knows who might like to be involved in this.
18 But without low cost financing, they're not
19 going to get into it.

20 MS. LERNER: So I obviously feel
21 that the universal fund could be helpful. But
22 I'm also concerned that we're losing sight of
23 an actual real world experience that we have
24 here in New York in terms of relying upon
25 private industry to build out the fiber

Public Service Commission-Panel II
February 24, 2016

91

1 Proceedings - 2/24/16 - Panel 2

2 network. And that is our experience with
3 Verizon FiOS, which has been very much of a
4 mixed bag. Promises made and then not kept.
5 An ongoing dispute here in New York City
6 between Verizon and the city as to the
7 efficacy of the build-out. And certainly we
8 at Common Cause have been hosting public
9 forums and we have gotten an earful from a lot
10 of very angry people about the difficulties of
11 actually obtaining FiOS here in the city,
12 where there should be really significant
13 build-out, with the idea of having
14 competition.

15 So relying simply on public
16 industry to catch up because, you know, there
17 are incentives to do so, our experience is
18 that the incentives are selected in terms of
19 geographic region and don't seem to carry
20 through in the long run if there's any kind of
21 corporate leadership change or if, you know,
22 decisions made from a corporate point of view
23 are different. Corporations have a different
24 goal than what we believe the Public Service
25 Commission should have, which is universal,

Public Service Commission-Panel II
February 24, 2016

92

1 Proceedings - 2/24/16 - Panel 2

2 reliable, reasonably affordable service of all
3 kinds of telecommunication.

4 So, you know, I find the discussion
5 interesting, but when we look at the private
6 marketplace, we see some real gaps in
7 performance.

8 MS. ZIBELMAN: Jeffrey.

9 MR. NORDHAUS: Thanks. Just to
10 address on the point about the New NY
11 Broadband program, first of all, I'd like to
12 clarify something. The New NY Broadband
13 program is not just for incumbents. It's for
14 anyone. If you're a community and you want to
15 serve your community, it's unserved, you can
16 bid. It's an auction. Whoever -- I see the
17 light's going on. No, go ahead.

18 MS. CRAWFORD: As long as you're
19 not within the Time Warner cable franchise
20 areas or in any CAF area.

21 MR. NORDHAUS: Right, okay.

22 MS. LERNER: So if you have the --

23 MS. CRAWFORD: -- basically any --

24 (Cross talk)

25 MS. LERNER: -- financial

Public Service Commission-Panel II
February 24, 2016

94

1 Proceedings - 2/24/16 - Panel 2
2 megabits, I believe, and upstate is 50. All
3 the areas that are 50 upstate will go to 100
4 by 2018, and will go to 300 megabits by 2019.
5 And that's covering in excess of I think two
6 million housing units. So it's a pretty
7 dramatic, you know, upgrade.

8 But then there's folks who have
9 nothing. Some of them are in the Time Warner
10 Cable franchise areas, which have not been
11 developed -- and I defer to the PSC, by the
12 way, because I'm not a representative of the
13 PSC and I don't know this intimately, but this
14 is just my sort of work-a-day understanding of
15 it -- is an additional 145,000 homes will be
16 built out. Those are people who have no
17 service, at least no service at 25 megabits or
18 potentially higher. But the vast majority of
19 those are in areas that have no service. So
20 the question that I would have is do -- does
21 it make sense to have a program, give funding
22 to an area that already has service, so, in
23 other words, to fund a second entrant, versus
24 a community that has no service at all.

25 MS. LERNER: So that --

Public Service Commission-Panel II
February 24, 2016

95

1 Proceedings - 2/24/16 - Panel 2

2 MR. NORDHAUS: So that -- yeah, no.

3 MS. LERNER: -- you're talking the
4 infill versus, you know, the lack of service
5 entirely. You know, I'm not really in a
6 position to channel Mayor Stephanie Miner from
7 Syracuse. But certainly I think Syracuse is
8 an excellent example of a area which is shown
9 as having broadband service on the broadband
10 map within the Time Warner service area, and
11 yet the city finds it necessary to try and
12 figure out how to build out their own service
13 in a significant part of their footprint
14 because, as the mayor has said repeatedly,
15 Time Warner has indicated that they are not
16 going to build out to the neighborhoods that
17 are not served. And this is an ongoing
18 concern.

19 MS. ZIBELMAN: I think that that is
20 exactly the condition that we have put into
21 the -- that would get built out. But I think
22 that's a good point, which is, the digital
23 divide issue sort of is -- it's a
24 socioeconomic issue. We need to make sure
25 that everybody has affordable services of

Public Service Commission-Panel II
February 24, 2016

96

1 Proceedings - 2/24/16 - Panel 2
2 whatever we decide are the essential services.

3 Then there's the geographic issue.
4 And in my mind the geographic issue is markets
5 and sub-markets. And that's one of the issues
6 that we sought to address, frankly, in the
7 merger, which, as we saw, the sub-markets were
8 Albany, Syracuse, where they would have access
9 to high speed broadband in the suburbs but not
10 in the inner core. So I think we need -- I
11 think we can all agree that there ought to be
12 no divide rather -- either geographically or
13 economically, and that's what we're looking to
14 address.

15 My question I guess is around that,
16 getting back -- I know it is about people, but
17 it's also about investment. If we're not
18 going to go back to regulation, that you are
19 going to have a situation in all likelihood in
20 some markets, unless we move -- go to the dark
21 fiber route, where there is to be a monopoly
22 or duopoly, because there's just, unlike
23 downstate where we see lots of competition,
24 we're not going to see it. And should we be
25 thinking in terms of state regulation that

Public Service Commission-Panel II
February 24, 2016

97

1 Proceedings - 2/24/16 - Panel 2
2 there's -- just like the markets are not, you
3 know, they're not homogenous, nor should
4 regulation be homogeneous, because there's
5 very different market needs when you're in New
6 York City versus in rural New York, and we
7 ought to be sensitive to that.

8 MS. LERNER: Although I've been
9 surprised to hear very similar complaints in
10 suburban Albany and in parts of New York City.
11 People who feel that they cannot get adequate
12 service at an affordable price, or that they
13 are one block away from being able to get
14 broadband service. And you find that in
15 Queens and you find that in towns in the
16 suburbs of Albany.

17 MS. CRAWFORD: Just to speak to the
18 rural issue. I hesitate to bring this up, but
19 in Sweden, there are hundreds of little, tiny
20 towns that lease dark fiber, that make --
21 because state funding was contingent on
22 creating dark fiber, they -- that's what they
23 did. And then that creates a competitive
24 marketplace even in the very smallest spaces.
25 So it is possible. And there are investment

Public Service Commission-Panel II
February 24, 2016

98

1 Proceedings - 2/24/16 - Panel 2
2 banks, like McQuary seems to want to come into
3 Connecticut to build a whole lot of dark fiber
4 between Connecticut towns and in those towns,
5 because it knows it's going to make money.
6 The town will own the fiber, McQuary will
7 build it.

8 MR. YAKEL: So maybe I can try and
9 bring this full circle again. You know, we're
10 talking about advanced networks here and where
11 they are and where they're not. And again, a
12 couple of the observations is when we look at
13 New York State and we look at the multiple
14 platforms that are available to consumers
15 today, the landscape is very, very different
16 than it was a decade ago. Cable companies
17 were only doing video, they were one way
18 systems. They spent all this convergence,
19 they're now into the phone business and the
20 broadband business. Things are reversing for
21 the telephone industry as well. They're
22 losing phone subscription, but companies like
23 Verizon that have deployed FTV networks and
24 some of the smaller CLECs that Bob Puckett
25 talked about earlier this evening are now

Public Service Commission-Panel II
February 24, 2016

99

1 Proceedings - 2/24/16 - Panel 2
2 getting into somebody else's business. What
3 we're seeing is that there's multiple
4 companies that are filling multiple roles,
5 whether it's a niche market or it's a
6 mainstream market. And we're talking about
7 getting to those gap areas. We're recognizing
8 that there's a lot more providers that are in
9 this sphere today than there were before. And
10 even to the point of the middle mile, I think
11 we're seeing that the market is opening --
12 opening up, and where there's a need in the
13 BPO programs is touching on that as well. But
14 we're not fixated on a single mode, a single
15 type of infrastructure, because we're
16 recognizing that these services are now being
17 provided over more than just the copper
18 landline network. They've moved over to cable
19 networks, terrestrial wireless, fixed
20 wireless, and satellite systems. And I
21 think -- we've talked about this in the first
22 panel and the second panel, and I think we are
23 tying a lot of these things together, to the
24 end result of how do we get it to the last
25 mile, the last home, and filling in those

Public Service Commission-Panel II
February 24, 2016

100

1 Proceedings - 2/24/16 - Panel 2
2 remaining gaps of the few percent of New
3 Yorkers.

4 MS. GEDULDIG: Any takers?

5 DR. MAYO: That was an
6 uncomfortable pause. I'm responding largely
7 for the same reason my students nervously will
8 speak up after I ask a tough question. They
9 just don't like the quiet.

10 I think you're right. There is,
11 and again, not everybody on the panel is going
12 to share this opinion, and it's a discussion
13 worth having, but New York I think has seen a
14 growth in the cross-section of broadband
15 provision. It's seen a growth in the dynamic
16 over time in the provision of broadband.
17 You've seen wireless and wire line and
18 satellite providers that are headed toward
19 each other in terms of competition, and we can
20 quibble about how much competitive pressure
21 they put on each other, but I think we know
22 that they're headed that direction. And I
23 understand and I am sympathetic to the idea
24 that we need to be as gracious and generous as
25 we possibly can to the folks that we just were

Public Service Commission-Panel II
February 24, 2016

101

1 Proceedings - 2/24/16 - Panel 2
2 talking about, the digital divide folks that,
3 say, whether it's by income or geography, you
4 ought to have the right to participate fully
5 in society's rich benefits. No argument there
6 at all. The question is how do we accomplish
7 that goal in the most economically efficient
8 manner possible. Do we do it through
9 government mandate? Do we do it through
10 incentive based schemes? And that's what
11 you're really wrestling with here.

12 The I think good news is that
13 you've struck on, from my perspective as a bit
14 of an outsider here, but I've been studying
15 the industry for 30 years, you've struck on a
16 really quite nice balance in New York, and
17 that is that you've created a light touch
18 regulatory approach dating back to let's call
19 it to 2006, but there's a much longer lineage
20 headed that way before then, that said we're
21 going to largely be consistent with the
22 National Telecommunications Act, which is to
23 promote a pro-competitive, deregulatory
24 environment. We are going to see how it goes,
25 we are going to be mindful, we are going to

Public Service Commission-Panel II
February 24, 2016

102

1 Proceedings - 2/24/16 - Panel 2
2 watch how it goes, we are going to look at the
3 results. I think it's worth looking at the
4 results, you ought not to look the other way,
5 you ought not to be asleep at the switch. But
6 where it's working, you have the opportunity
7 to rely more on incentive based mechanisms and
8 less on regulatory fiat. It's -- I think
9 you're headed in the right direction on this.

10 MS. CRAWFORD: Well, if I could
11 just respond to that, I mean, what we've seen
12 in New York since deregulation is playing out
13 of what we already know to be true. Where
14 consolidation and market division is possible,
15 competition is impossible. And that's what's
16 happened here. So Verizon is now squeezing
17 its copper, not updating to FiOS in most of
18 the state. Frontier, also squeezing copper.
19 Cable hanging onto its franchise areas. The
20 phone companies are, and specifically Verizon,
21 really backing off and becoming much more of a
22 wireless company than a wired one. So they're
23 easily dividing markets, that's what's
24 happened. And as a result you have exhibitant
25 pricing in New York State, and not a whole lot

1 Proceedings - 2/24/16 - Panel 2
2 of new, you know, network infrastructure
3 coming in that will survive into the next 15
4 or 20 years. That's your problem.

5 What do you do? And there's
6 several steps you could take that would be
7 regulatory in nature that would encourage the
8 growth of genuine, ubiquitous, cheap wired
9 fiber networks. It really does have to be
10 fiber. I know there's a lot of talk about
11 technology agnostic. Don't listen to that,
12 because you will end up with something that
13 then has to be ripped out and upgraded again
14 in a few years.

15 So things you could do would be to
16 encourage things like statewide franchising,
17 that seems like an easy one, that would allow
18 those providers who feel they need to sell
19 video content as well to not be a substitute
20 to hold onto investment in town. You could
21 allow people to sell high speed Internet
22 access without -- and get access to poles
23 without being labeled as CLECs. That might be
24 useful. I understand that companies are
25 ignoring the pole attachment order and there's

Public Service Commission-Panel II
February 24, 2016

104

1 Proceedings - 2/24/16 - Panel 2

2 a whole lot of delay. There are things the
3 PSC to do there to enforce that order. That
4 would be good.

5 This planning function for cities I
6 think could be -- could be revolutionary, if
7 there's even a small grant program, however
8 funded, to help all these hamlets get their
9 act together and figure out how to attract
10 private capital into their dark fiber
11 networks. That would be extremely useful.

12 Setting a very high standard for
13 the state as to what constitutes acceptable
14 21st century connectivity would also be
15 welcome.

16 MS. LERNER: You know, I must say
17 that I am struck by the fact that this is not
18 the first time that our country has had to
19 deal with these issues. We've dealt with them
20 on rural electrification, we've dealt with
21 them in universal telephone service, and I
22 think we are dealing with exactly the same
23 issues in broadband. And in both of those
24 earlier instances there was a point at which
25 the government had to step in and ensure that

Public Service Commission-Panel II
February 24, 2016

105

1 Proceedings - 2/24/16 - Panel 2
2 there was service in the last mile. And I
3 think we are very close to that point here in
4 New York State.

5 MR. ARON: So if I could respond
6 first to Commissioner Sayer's question a
7 minute ago. Just a word of caution, and that
8 is, right now in New York State the rate on
9 consumer bills for taxes, fees and surcharges
10 is 24.4 percent. So my word of caution is
11 adding to that already, use a politically
12 correct word, fairly high number --

13 COMMR. SAYER: Ridiculously high.

14 MR. ARON: Yeah.

15 MS. LERNER: And we have questions
16 about where does it actually go.

17 MR. ARON: So the word of caution
18 would be not not to do it, but to consider the
19 source of the revenue for it might be prudent.

20 And to respond a little bit to
21 Susan, I actually had a conversation with an
22 engineer about the relative benefits of
23 microwave versus fiber recently. And much to
24 my surprise, you know, part of the discussion
25 was that there are many instances wherein a

Public Service Commission-Panel II
February 24, 2016

106

1 Proceedings - 2/24/16 - Panel 2

2 network microwave is a viable substitute, in
3 some instances a better substitute. With
4 direct line-of-sight it tends to be faster
5 than fiber.

6 But, you know, leaving that aside,
7 I think that to the extent that you're looking
8 at how to get to the last mile, I think that
9 all sources should be considered. But
10 recognize I think primarily the CAF money is
11 still being spent, and examine how that goes
12 before investing more and potentially double
13 dipping, so to speak, in certain areas. And
14 you want to avoid that and make sure those
15 public funds are spent well.

16 You want to look at the extremely
17 high cost area, which is in 2018, so somewhere
18 in the nature of two years off now, the FCC is
19 going to examine that and dedicate some, you
20 know -- I don't know that they've defined what
21 they're going to do, but they're going to
22 examine it, and the assumption of course would
23 be that they take some action.

24 So some of those areas that today
25 are difficult to serve, you know, those last

Public Service Commission-Panel II
February 24, 2016

107

1 Proceedings - 2/24/16 - Panel 2
2 mile areas that you were talking about, Susan,
3 the hope is that some of that gets covered by
4 that federal funding. So part of it I think
5 the story is patience and allowing that money
6 to get out there. And then deciding where is
7 it that it didn't get to, either at all,
8 right, and is that a problem to fix, or where
9 did it get to inadequately and is that a
10 problem to fix.

11 But as we sit at the cusp of all of
12 that spending, you know, the word of caution
13 at the front end is, you know, to let it work
14 its way into those areas and see what effect
15 it has first. And don't raise the 24.4
16 percent.

17 COMMR. SAYER: I'd like to ask the
18 panel if any of you would add or subtract from
19 the areas of state commission action that have
20 been suggested so far, listed very well by
21 Professor Crawford, statewide franchising for
22 video, pole attachment streamlining, helping
23 the planning function of municipalities,
24 having a high standard for state broadband
25 funding. I think we'd probably want to add on

Public Service Commission-Panel II
February 24, 2016

108

1 Proceedings - 2/24/16 - Panel 2
2 the affordability side some kind of universal
3 service funding for low income broadband
4 customers. What would you all add or
5 subtract?

6 MR. ARON: I think from our
7 perspective we would add state right-of-ways.
8 The areas that were discussed earlier that are
9 difficult to serve, I know the Catskill Park,
10 Adirondack Park were discussed. And one of
11 the primary reasons that there's challenges
12 for service there is getting the state
13 right-of-ways is not easy. So, you know, that
14 process needs to be fixed. A statewide
15 streamlined process to zoning would be great
16 so that it's not a new and different fight
17 every time we go and try to locate in a new
18 city or municipality. And those need to be
19 fixed.

20 And I think from our perspective,
21 as we look at the next generation of networks
22 that, you know, the pole attachments and the
23 right-of-ways are going to be the most
24 important. And we really can't stress enough
25 the importance of a known, knowable and

Public Service Commission-Panel II
February 24, 2016

109

1 Proceedings - 2/24/16 - Panel 2
2 defined time line, reasonable rates, terms and
3 conditions, pole top access, and access to the
4 Commission in instances where the market is
5 failing to work as it should. You know,
6 absolutely essential to get 5G rolled out to
7 have that.

8 MS. CRAWFORD: Another area could
9 be where the FCC has been digging into the
10 special access marketplace, or backhaul, some
11 of the commentators to the RFI for the new
12 broadband plan said that they couldn't get
13 access on a reasonable price to backhaul. So
14 no matter how well they were doing in their
15 communities building networks, they couldn't
16 get out, there was no competitive market to
17 get out. And that seems like an area that
18 could be examined.

19 All of this depends on a much more
20 robust data gathering function. And
21 publication of price data as well. Because
22 right now we are all operating in the dark a
23 bit. We don't really know what's going on.

24 MS. LERNER: That's where I was
25 going to go, which is that we really need to

Public Service Commission-Panel II
February 24, 2016

110

1 Proceedings - 2/24/16 - Panel 2
2 have an understanding of what service is
3 actually provided on much more granular level,
4 and how can we determine where there is
5 competition when we don't really accurately
6 know where broadband is actually being
7 provided to the consumers. The data is just
8 not sufficiently detailed. And that's why,
9 you know, we have been asking for some sort of
10 an evidentiary proceeding, but certainly the
11 PSC getting to a more granular level on the
12 broadband service map I think is essential to
13 make any reasonable determinations of what to
14 do.

15 MS. HELMER: I would just tweak one
16 of -- actually a couple of your suggestions,
17 Commissioner. You know, statewide franchising
18 is a tough nut politically. But there is a
19 value I think to the Commission providing
20 assistance in those situations where there is
21 a difficulty, whether it's a municipality,
22 whether it's a government agency that's
23 suddenly imposing a new fee on its
24 right-of-ways and so forth. There used to be
25 a municipal assistance group within the Public

Public Service Commission-Panel II
February 24, 2016

111

1 Proceedings - 2/24/16 - Panel 2
2 Service Commission that would work with
3 municipalities as kind of an honest broker and
4 address some of those issues before they went
5 to full bloom litigation or spent two years,
6 you know, with parties arguing with each other
7 and then, you know, eventually abandoning a
8 project. So I think that's important.

9 And also, IP to IP interconnection
10 is something that, you know, folks had started
11 to talk about at the FCC and among the states,
12 and an issue I think that's worth having a
13 conversation about.

14 MS. LERNER: One thing I forgot to
15 mention is we would like to see the Commission
16 take a look at the actual billing practices of
17 the companies for broadband and for cable, as
18 well for phone.

19 MS. HELMER: My concern, you know,
20 needless to say, anything that resembles price
21 regulation is a real issue for competitors.
22 You know, the reason we are sitting in this
23 room and having a conversation about a very,
24 very small portion of or percentage of the
25 consumers in the state is because of the fact

Public Service Commission-Panel II
February 24, 2016

112

1 Proceedings - 2/24/16 - Panel 2
2 that, and this has been mentioned by several
3 of the panelists, the fact that there was a
4 regulatory environment for -- and it's not a
5 long period of time, you know. A lot of
6 investment was made over a very short period
7 of time because there was the regulatory
8 environment to make that investment. And so
9 now we're talking about the nubs, we are
10 talking about the tough pieces, the places
11 that are hard to get to, the places that are,
12 you know, the last mile in the middle of the
13 Adirondacks and so forth and having to deal
14 with the Adirondack Park Agency and the
15 Department of Environmental Conservation and
16 all of these issues. And maybe they deserve
17 some special attention. And I think the
18 broadband offices and the Governor's program
19 are doing a very, very commendable job of
20 trying to address those issues. But don't
21 forget the fact that the reason we're sitting
22 here now talking about four percent of the
23 state instead of 94 percent of the state is
24 because of private investment.

25 MS. LERNER: And again, we contest

Public Service Commission-Panel II
February 24, 2016

113

1 Proceedings - 2/24/16 - Panel 2
2 that figure because our experience is that
3 virtually every single place on the map which
4 shows a hundred percent coverage has some
5 gaps, and sometimes significant ones.

6 The reason I talked about billing
7 is that the consumer is experiencing all kinds
8 of mystery fees on the bill. We don't know
9 where they go. There have been assertions
10 that in some cases there are FCC fees which
11 have sunsetted that are still on consumer
12 bills. And this is a pretty terrific way to
13 build in additional profit without it being
14 obvious to the consumer.

15 Again, the consumer has no
16 bargaining power here. You get a bill, it
17 says there's now going to be a two percent fee
18 for whatever. They turn it over or else they
19 lose their service. And we don't actually
20 have any indication where those fees are
21 going, if they are actually legitimate fees,
22 and if they're being turned over to the state
23 government or the federal government. I think
24 that's a reasonable inquiry.

25 MR. ARON: And I might make the

Public Service Commission-Panel II
February 24, 2016

114

1 Proceedings - 2/24/16 - Panel 2
2 observation in retort that one way to take
3 care of the mystery fees is to take all of
4 them off the bill entirely, right, and to just
5 collect from the general fund. Because the
6 true amount of the bill is what we charge.
7 And everything else that gets added on, and
8 it's complicated, right, there are charges
9 after charges, there are, you know, local,
10 there's municipal, it gets into the tax rate
11 for the location where the, you know, the
12 collection is made and, you know, and so on.
13 It's really complicated. And you add in the
14 federal and the local and the state. Get it
15 off the bill. You know, let consumers pay the
16 actual service charge and nothing but that,
17 and then have everything else taken out of the
18 general fund to fund it. And, you know,
19 problem solved, no mystery charges.

20 MS. CRAWFORD: I just want to make
21 clear that you're not just talking about four
22 percent of New York State. This is an
23 obligation to the entire state, because the
24 deregulation -- the regime we've had for the
25 last ten years has led to a situation in which

Public Service Commission-Panel II
February 24, 2016

115

1 Proceedings - 2/24/16 - Panel 2
2 for most of the state there's almost no
3 choice, right. So we thought competition
4 would protect consumers. It has failed, the
5 market has failed to provide competition. So
6 now our obligation, your obligation is to
7 think through what steps to take to make sure
8 that everybody has not just terrible
9 connection but a connection that can rival any
10 place in the world. That's your obligation.

11 MS. LERNER: Terrible connection at
12 high price.

13 MS. CRAWFORD: Yeah, right.

14 MR. NORDHAUS: So I'll just add
15 from the broadband perspective that we agree
16 with regard to the map. In fact, I was with
17 the FCC recently, and one of the biggest
18 challenges we've had in trying to identify,
19 and you mentioned this, a couple of examples,
20 to identify where there are unserved folks is
21 the lack of data. When you are dealing with a
22 477 filing that is a one served, all served by
23 census blocks, that just doesn't work.

24 We share the goal, we want to get
25 to everybody. And so the current phase that

Public Service Commission-Panel II
February 24, 2016

116

1 Proceedings - 2/24/16 - Panel 2
2 we have, I would like to just highlight, is a
3 phase one. So to get to the unserved, and
4 then if there are more, even in the pockets
5 within served communities, or perhaps Time
6 Warner areas that aren't being dealt with,
7 whatever it is, those will be phase two, phase
8 three. I mean, this is just sort of the
9 beginning.

10 But to your point, I think
11 vis-a-vis the broadband map, that's a very
12 important point. And we've tried in the past
13 to get address level data, and that hasn't
14 been something that we've been successful.
15 But we think folks should continue to push for
16 that at our level, meaning, you know, state,
17 local, and at the federal level with the FCC,
18 because they're ultimately the ones that are
19 asking. They have the authority, and I'm not
20 a legal expert on it, but they have the
21 authority to ask for that, and could
22 potentially get it in more detail. And it
23 would certainly help us identify any of those
24 pockets that are out there that we need to
25 still get to.

Public Service Commission-Panel II
February 24, 2016

117

1 Proceedings - 2/24/16 - Panel 2

2 MS. LERNER: But I think PSC could
3 also require that information.

4 MS. ZIBELMAN: So just to, while we
5 are on this point, because I would like to
6 hear from everyone, because it's just useful
7 for us to understand, if we could stay on this
8 list, of what things the Commission could be
9 looking at doing. There maybe things that the
10 Commission or the state can do that the
11 Commission can't do on its own. And then
12 maybe there are things that you can suggest
13 that we can advocate for at the FCC level as a
14 regulatory body. But it would be great to --
15 if we can get your insights on what we should
16 be thinking about, what we can do to help
17 things along.

18 DR. MAYO: So without sort of
19 endorsing the earlier sort of laundry list of
20 things that you can do, let me just mention a
21 couple that I think.

22 One is, and this is an interesting
23 challenge for you, because competitive markets
24 work best when consumers have information,
25 right, and they know what they're buying and

Public Service Commission-Panel II
February 24, 2016

118

1 Proceedings - 2/24/16 - Panel 2
2 what the quality of the good is and what the
3 prices are. And here we have a market that is
4 so dynamic that it is challenging. I think we
5 would all agree it's challenging for consumers
6 to keep up with what it is that they are
7 buying and what the quality is and what they
8 can actually do with the services that they
9 buy. So one of the things that I think might
10 be a very useful role, and it doesn't have to
11 be any heavy handed approach I think, is to
12 think about policies that can be enacted that
13 promote information for consumers on how to
14 make those choices. I'd like to know what I
15 can do with 12 megabits download as opposed to
16 15 or 20. I think a lot of consumers would
17 like that information. I think that's -- and
18 again, I'm saying that's a pleasant problem to
19 have because the market has been so dynamic.
20 And so that's one thing.

21 Other things that I would harken
22 back to is to say that anything you can do
23 that would ease the ability of any firm to
24 expand its output, to expand it through
25 investment and so on, any policies that you

Public Service Commission-Panel II
February 24, 2016

119

1 Proceedings - 2/24/16 - Panel 2
2 have that implicitly or explicitly restrict
3 the ability of firms to chase consumers, by
4 way of saying no, you shall invest in this
5 technology, whether that technology is copper
6 or fiber or wireless, those ought not to be
7 your choices. Those ought to be -- there's a
8 high powered incentive, as I said, people lose
9 their jobs if they get the incentive, if they
10 don't do the investments right here. That the
11 firms actually have high powered incentives to
12 get this right. Now, they're not going to get
13 it right all the time. They're going to make
14 some bone-headed investments sometimes, and
15 fail to make some investments they should.
16 But they have high powered incentives to do
17 it. But my point is to try to remove any
18 policies that you have that create through
19 regulatory dicta what you shall invest in, the
20 specific investments.

21 And then finally, to the point that
22 was mentioned earlier is, I think it has been
23 a real positive development that you've moved
24 in this state away from rate based rate of
25 return in regulation, and moved away from --

Public Service Commission-Panel II
February 24, 2016

120

1 Proceedings - 2/24/16 - Panel 2
2 because that has distortionary effects we know
3 on investment, and it has -- it dampens, it
4 dampens or distorts, let me put it that way,
5 it distorts investments.

6 But -- but, I think that what you
7 might do is be at this juncture more explicit
8 about eliminating the prospect of profit
9 regulation, of any profit regulation. Because
10 the threat of profit regulation itself is
11 going to -- is going to alter the marketplace
12 in an undesirable way. There's rich, robust
13 economic literature that suggests that,
14 indicates that, not suggests.

15 MS. CRAWFORD: To add to the list
16 with some really regulatory ones, I'm a New
17 Yorker now but I grew up in Santa Monica. And
18 they have a terrific fiber network because the
19 chief information officer was present at every
20 meeting where the streets were going to be
21 ripped up. They had a dig once policy in
22 Santa Monica. They had to think about fiber
23 for any public project. If there was a
24 statewide dig once, think about
25 infrastructure, communications infrastructure

Public Service Commission-Panel II
February 24, 2016

121

1 Proceedings - 2/24/16 - Panel 2
2 and specifically fiber every time the streets
3 are taken up, that would really help. That
4 would make sure that incrementally these bills
5 are happening.

6 Another one you can borrow from the
7 state of Connecticut, they have a single pole
8 administrator. A mystical achievement. I'm
9 not sure how they did it, but they did it.
10 And that means that there's one entity you go
11 to, there's a shot clock, there's no fooling
12 around, it just happens. There's a data base,
13 you know how to find out about poles.

14 And the third one, which I
15 mentioned in passing earlier, I just want to
16 make sure is on your list, is the idea of loan
17 guarantees, which pay off and there's
18 spillover effects enormously. But if you put
19 aside a very small amount of capital or
20 persuade the Governor to do so, you will
21 attract enormous private investment into these
22 dark fiber networks.

23 MS. LERNER: Suffice it to say that
24 we're uncomfortable with allowing only an
25 economic analysis to drive the Commission's

Public Service Commission-Panel II
February 24, 2016

122

1 Proceedings - 2/24/16 - Panel 2

2 determinations.

3 MS. GEDULDIG: So along those
4 lines, I think we all agree that the
5 Commission has a very significant interest in
6 consumer protection. So what on the
7 consumer's side, I think John talked about
8 education and information to be shared with
9 consumers about exactly what the services that
10 they're using are and what they mean, what
11 they can do. What other items can the
12 Commission consider or should the Department
13 recommend along with consumer protection?

14 MS. LERNER: Well, I think
15 standardization and simplification of billing
16 practices is a very pro consumer approach.
17 Right now the bills are very confusing, and
18 not just in the tax area but with all sorts of
19 arbitrary fees which are created.

20 I think looking at the contracts,
21 which are not negotiated but rather imposed by
22 the companies. And, as I think I said it
23 earlier, the pro company, anti-consumer
24 provisions tend to be identical between the
25 different providers. So that if you don't

Public Service Commission-Panel II
February 24, 2016

123

1 Proceedings - 2/24/16 - Panel 2
2 want to sign a contract for a arbitration
3 provision but you need cellular phone service
4 for whatever reason, you don't have an
5 alternative. The competitive marketplace is
6 not working that way.

7 So there are, you know, contracts
8 of adhesion really in these marketplaces where
9 the consumer has no bargaining power. And it
10 really should be up to the PSC to be looking
11 at some of these provisions and coming to a
12 rational decision of whether the consumers
13 should have an option to opt out on some of
14 these things or some ability to give the
15 consumers some bargaining power.

16 MS. CRAWFORD: The potential role
17 to protect consumers and one the FCC really
18 can't carry out is to be the place where
19 consumers' complaints go in a very active way.
20 I see some disagreement from my colleague over
21 there, but that doesn't exist, and that would
22 be useful.

23 We have an adoption issue in New
24 York State. A lot of it may have to do with
25 price. But New York State has the lowest rate

Public Service Commission-Panel II
February 24, 2016

124

1 Proceedings - 2/24/16 - Panel 2
2 of adoption, for even these 25 megabit
3 services, than any other northeastern state,
4 any other northeastern state except for Maine,
5 and Maine is like the 38th densest state and
6 New York is the seventh. So it's not density
7 that explains it. It's something else going
8 on. It might be price.

9 There may be more that could be
10 done on, you know, the telemedicine front, the
11 education front. Modeling services that are
12 going to be useful for consumers and helping
13 them understand how relevant this is to their
14 lives.

15 MS. LERNER: Certainly consumers'
16 education is excellent, but the reason why I
17 grimaced was, unfortunately, what we're
18 hearing from our people is that the complaint
19 process with the PSC is not satisfying the
20 consumers.

21 MS. CRAWFORD: Well, that they can
22 fix.

23 MS. GEDULDIG: So we also for
24 today's panel heard a lot about outputs and
25 the importance of them from a service and a

Public Service Commission-Panel II
February 24, 2016

126

1 Proceedings - 2/24/16 - Panel 2

2 Internet.

3 A lot of the old kind of service
4 quality measures are just becoming more and
5 more arcane. You know, how many seconds you
6 wait on the telephone. The younger
7 demographic doesn't go to the telephone to get
8 a problem solved. If they've got a problem
9 with their product, they get online, they go
10 to a chat room. They get online with the
11 website for the product, where there's a set
12 of frequently asked questions. They're not
13 sitting on the telephone waiting for, you
14 know, some person in, you know, wherever to
15 answer the phone and answer their questions.
16 It's evolving. Are there still people
17 calling? Sure. But, you know, to the extent
18 that there are service quality measures for
19 any of these services, and there still are for
20 some, you know, I think we need to re-look at
21 whether or not they're measuring the right
22 things. But in terms of areas that are
23 competitive, such as cable service and video
24 service and broadband telephone service,
25 people have the ability to switch, and that is

Public Service Commission-Panel II
February 24, 2016

127

1 Proceedings - 2/24/16 - Panel 2

2 the ultimate customer service indicia.

3 COMM. SAYER: So Maureen, don't
4 cable companies have internal operational
5 metrics that they hold their local managers
6 to --

7 MS. HELMER: Sure.

8 COMM. SAYER: -- to make sure that
9 they're performing?

10 MS. HELMER: Sure.

11 COMM. SAYER: What are the kinds
12 of things that they measure internally?

13 MS. HELMER: I think that's
14 something that we would have to have a more
15 confidential conversation about. That's
16 really -- I would consider that trade secret
17 and I wouldn't consider it uniform across the
18 companies.

19 MR. ARON: So for wireless I think,
20 you know, similarly, you know, how each
21 company measures might differ. But at a top
22 level, consumer satisfaction, they're
23 measuring C-sat. The FCC data shows that
24 there's 56 wireless complaints per one million
25 customers in 2014. So it's just tiny numbers

Public Service Commission-Panel II
February 24, 2016

128

1 Proceedings - 2/24/16 - Panel 2
2 with a lot of zeros after a period. And
3 that's good. The carriers obviously work hard
4 to keep those numbers low. They measure
5 churn. So how many of your customers are
6 leaving you for your competitors. The lower
7 that number is, obviously the better. And
8 you'd expect -- expect, rather, customer
9 satisfaction to be similarly high when the
10 churn number is low.

11 Performance of the actual network,
12 they're measuring data speeds, they're
13 measuring performance at sites, they're
14 measuring it in cities, they're measuring it
15 in counties and regions and states. The
16 metrics that they measure to try to make sure
17 that they have their finger on exactly how
18 their systems perform and performed in
19 relation to their competitors is considerable.
20 A lot of time spent on that.

21 They also pay attention to
22 independent testing organizations. So your
23 J.D. Powers, your Consumer Reports, your root
24 metrics. They measure all manner of
25 performance metrics, and they report on it

Public Service Commission-Panel II
February 24, 2016

129

1 Proceedings - 2/24/16 - Panel 2
2 independently. And how those reports come out
3 is impactful to the carriers and they pay a
4 lot of attention to it.

5 We, as the industry association,
6 we've tried to help them, you know, spearhead
7 some initiatives. So the CTIA code would be
8 an example that incorporates a lot of consumer
9 protections and is recertified to annually by
10 the companies, is a good example.

11 I know that, you know, overages,
12 you know, my teenager son or daughter send out
13 50,000 texts in a month and I got a hundred
14 thousand dollar bill. We responded to that
15 when the governments reached out to, you know,
16 us, the public service commissions, the AG's
17 offices, and we voluntarily agreed to produce
18 notification of outages.

19 So I think there's a dynamic, you
20 know, there's a dynamic process between the
21 government and the industry in which we try to
22 respond to what we're hearing, and hopefully
23 stay a little bit ahead of the game. So we're
24 looking at, we've issued -- the association
25 has issued location based service guidelines.

Public Service Commission-Panel II
February 24, 2016

130

1 Proceedings - 2/24/16 - Panel 2

2 So we're trying to make sure that the give and
3 take between, you know, when you ask your, you
4 know, Google maps or Waze or whatever for
5 directions when you're driving, you know,
6 there's a give and take regarding how much
7 data they're pulling off of you and how much
8 you're, you know, you're using from them. So
9 we have privacy policies. We have location
10 based service guidelines, the notification of
11 outages. We have app content rating
12 guidelines and others.

13 So what fundamentally we're trying
14 to do is hear everything, right. So the
15 government is looking at privacy, and so are
16 we. We're concerned that we make sure that
17 our customers have a good idea of what -- or
18 at least that they have the ability to obtain
19 the information. And part of the problem is,
20 and I'm guilty of it, do you really read the
21 whole, you know, disclosure or do you click
22 the box so you can get to the next screen
23 quicker. I click the box. But the
24 information's there, and it's incumbent upon
25 people to hopefully understand. But part of

Public Service Commission-Panel II
February 24, 2016

131

1 Proceedings - 2/24/16 - Panel 2
2 that education process is important. And I
3 think, and the Public Service Commission is
4 traditionally a body that does provide some of
5 that education to customers about, you know,
6 what is it that you're certifying to, and how
7 is the interaction between your device and the
8 network or the third party provider, how does
9 that all operate.

10 So I think it's a -- you know,
11 there's a lot of going on in the space. We
12 have interaction between different state
13 agencies, the attorney generals we mentioned,
14 the Public Service Commission. At the federal
15 level you have the Federal Trade Commission
16 for some issues, the FCC for other issues. So
17 there is so much going on in the space all the
18 time that, you know, we try to hear from the
19 regulated -- the regulator -- the regulatory
20 community what it is you're concerned about,
21 and take, you know, our practices and put them
22 under the magnifying glass and see if there's
23 anything that we can do to make those
24 practices better, both for the consumers, so
25 that when we do measure C-sat and churn and

Public Service Commission-Panel II
February 24, 2016

132

1 Proceedings - 2/24/16 - Panel 2
2 things of that nature, that the numbers are
3 good. And just as a general basis because
4 it's the right thing to do for customers and,
5 you know, to keep them happy and to provide
6 adequate service.

7 MS. GEDULDIG: So how do you
8 measure customer service? Because we're
9 hearing a little bit about is the connection
10 or is the service good, is it terrible, people
11 are complaining about it. So how do companies
12 measure their customer satisfaction?

13 MR. ARON: You know, I don't know
14 that, you know, to the point that was just
15 raised, I'm not sure that I know the exact,
16 you know, methodology for it. I'm sure that
17 in part it's, you know, how many complaints
18 received, how many of them are -- I'm trying
19 to remember metrics I've heard in a past life
20 before the association. First call
21 resolution, you know, how long a customer
22 service agent takes, do they call back to have
23 the problem resolved.

24 I think that a lot of -- and mind
25 you, they're kind of just, you know, brainless

Public Service Commission-Panel II
February 24, 2016

133

1 Proceedings - 2/24/16 - Panel 2
2 standards, right, it's just a did it meet this
3 threshold or that threshold or the other
4 threshold. But at some point, you know, any
5 measurement has some level of just blindness
6 to it, right. There's a threshold and did you
7 cross it, and if you crossed it then you're at
8 whatever the next level is. So there -- I
9 think no matter how they measure it, it's
10 going to have some of those indicia in it,
11 right. Whatever the threshold is, was it met
12 or did they go to the next level and then how
13 many at the next level and so on.

14 So on the consumer side I think
15 you're looking at more of those somewhat
16 arbitrary, you know, first call resolution,
17 you know, calling back. You're forced to deal
18 with measurements in that regard, because you
19 can't really ask somebody how happy are you,
20 right, I mean, it's subjective. So they're
21 trying to find the objective factors that they
22 can measure discernibly and then, you know,
23 and have that data be meaningful.

24 And then on the service side I
25 think is where it's, you know, it's easier,

Public Service Commission-Panel II
February 24, 2016

134

1 Proceedings - 2/24/16 - Panel 2

2 right. How fast is my network performing, you
3 know, what are the data speeds on it, what's
4 the text, you know, rate, what's the latency,
5 right.

6 Actually, just off topic, but I
7 heard this fascinating factor on 5G that I'll
8 share. One of the things we're talking about
9 in terms of data speed for 5G is that the
10 latency goes down. And we released a paper on
11 this, and it's, you know, a picture tells a
12 thousand words. In 4G it takes a car four and
13 a half feet to stop once it's done its sensing
14 and reacts to it. And in 5G that's down to
15 one inch. So things like how is my network
16 performing, you know, those are things that we
17 measure, but they have real life applications
18 to them.

19 So, you know, on the consumer side,
20 trying to find objective standards that we can
21 measure. And then on the network side, you
22 know, it's just the literal how is it -- how
23 is it doing, how do those metrics match up to
24 expectation, how are they between markets, you
25 know, et cetera. So that hopefully that

Public Service Commission-Panel II
February 24, 2016

135

1 Proceedings - 2/24/16 - Panel 2

2 helps.

3 MS. GEDULDIG: I have a little bit
4 of a left field question, but we've been
5 talking a lot about it. It comes -- it's on
6 the question of disaster recovery and
7 security. I think this falls squarely within
8 the category of things that customers don't
9 know to ask about or aren't sure about. And I
10 don't -- I'm not asking for details because I
11 don't want anyone to talk about their
12 cybersecurity issues. But is there a place
13 for state regulation or regulatory involvement
14 and policy making in that space?

15 MS. HELMER: Cybersecurity is one
16 of those areas that I think has had the
17 richest history of public-private cooperation,
18 because government is so intertwined with
19 business on critical infrastructure, and I
20 think it's done a very good job. But there
21 are customers asking about that, especially
22 enterprise customers. They care about
23 resiliency, they care about redundancy within
24 their network and whether or not the
25 redundancy that they have really is redundant.

Public Service Commission-Panel II
February 24, 2016

136

1 Proceedings - 2/24/16 - Panel 2

2 We've learned so much from World Trade and
3 from all of the various natural disasters that
4 we've had in terms of where are the networks
5 weak, where are they not redundant and so
6 forth. And I think that the work that the
7 Commission has done with all the utilities,
8 whether they be communications utilities or
9 energy utilities to look at their emergency
10 response plans and the resiliency of their
11 networks has continued to, you know, provide
12 added value to the networks in terms of
13 cooperation.

14 One of the very -- I really want to
15 give a pat on the back to the Commission
16 about, it was always very difficult in times
17 of emergency for communications companies, and
18 particularly newer communications companies
19 like cable companies, to work with utilities,
20 who were very, very -- have a strong kind of
21 ownership interest in their networks. And the
22 Commission has really stressed with all of the
23 companies that all of these companies have to
24 work together during times of outage, because
25 broadband has become so important, because

Public Service Commission-Panel II
February 24, 2016

137

1 Proceedings - 2/24/16 - Panel 2
2 video and telecommunications services have
3 become so important that, you know, when there
4 is a particular line out, that the companies
5 work together out in the field to be able to
6 address those issues. So I think the
7 Commission has really done a lot to help in
8 terms of the coordination between the
9 companies.

10 But both cybersecurity and physical
11 resiliency are issues that are very important
12 to customers, but in particular to enterprise
13 customers. Not that they're more important,
14 but they get articulated I think more on a one
15 to one basis.

16 MS. CRAWFORD: I don't disagree
17 with that characterization of the
18 conversation. There is a lot of talk about
19 cybersecurity and resiliency. But we saw
20 after Superstorm Sandy how inadequate our
21 battery resources were in this city and in
22 many other coastal cities. There's a big gap.
23 The FCC is not really stepping into this with
24 both feet. And the state commission's role I
25 think could be beefed up to set requirements

Public Service Commission-Panel II
February 24, 2016

138

1 Proceedings - 2/24/16 - Panel 2
2 for the resiliency of utility providers. And
3 I would put in that category everybody selling
4 a high speed Internet access connection, you
5 know, that that's now in the bucket of
6 services that has to be brought up, has to be
7 backed up by adequate battery power. Really
8 this is a huge issue, and I'm glad you're
9 thinking about it, because no one seems to be
10 taking hold.

11 MS. LERNER: And the consumers
12 generally are not really cognizant of the fact
13 of how their various systems interact and that
14 which systems are dependent on their home
15 electrical power and which systems can be
16 relied upon in an emergency.

17 MR. ARON: So you know, on the --
18 I'll add to the discussion a few numbers that
19 are fascinating. So the first is one year.
20 And one year is the average time that a
21 government employee trained in cyber as an
22 expert remains with the government. They're
23 quickly gobbled up. It's actually, I forget
24 the number, but they have a negative whatever
25 it is --

Public Service Commission-Panel II
February 24, 2016

139

1 Proceedings - 2/24/16 - Panel 2

2 MS. CRAWFORD: Sure.

3 MR. ARON: -- unemployment rate, I
4 mean, they are gone, they are in super, super
5 high demand. And they're going to industry.
6 So, you know, the good story that we have to
7 tell on cyber is that as quickly as they can
8 be trained, whether by us or by others, we are
9 bringing them on and trying to defend
10 networks. So the investment in cyber is
11 active and ongoing.

12 I don't know that I would agree
13 with the characterization that there's any
14 confusion in the space. There's a lot of work
15 going on in the space. But, you know, from
16 our perspective we've been working with DHS
17 and with the FCC on this and working with them
18 for quite some time to come up with a system
19 that's workable.

20 There are -- let's see if I can
21 remember this, it's the -- it's one of the
22 worst acronyms ever, the LCCS, I forget, it's
23 the local tribal territorial county, city,
24 something or other, it's the -- there are --
25 you know, there's that. There's several

Public Service Commission-Panel II
February 24, 2016

140

1 Proceedings - 2/24/16 - Panel 2

2 organizations that are under the umbrella of
3 the Department of Homeland Security, so the
4 National Cybersecurity Incident Center and a
5 few others. There is -- it's a unique space
6 in and of itself, and I'm certainly not an
7 expert on it. But the point is, it's a hugely
8 active space. It's just that it's not huge --
9 it's not hugely visible, right, because most
10 of the work that goes on is to make sure that
11 nobody knows that anything happened because
12 nothing happens, right. So it's kind of like,
13 you know, an offensive lineman in football,
14 right, if the flag is thrown then he's had a
15 bad game. If you never hear about him, he had
16 a great game. And it's similar with cyber.
17 You just never want to hear that it happened.
18 And that's the primary effort is just to
19 prevent it from happening. So there's a ton
20 going on.

21 One of the other numbers that's
22 useful there is 56. So 56 states and
23 territories and 56 sets of state Freedom of
24 Information Act to deal with. And one of the
25 problems that we have in cyber is that

Public Service Commission-Panel II
February 24, 2016

141

1 Proceedings - 2/24/16 - Panel 2
2 everything that's discussed is, you know,
3 very, very sensitive, right. If the
4 information gets out, then that's the
5 information usually needed to attack systems.
6 So that's terrible. But the sharing of that
7 information is important to make sure that if
8 one company suffers an attack and it's a
9 certain type of attack, then other companies
10 can become aware that attack happened.

11 So the sharing of the information
12 is very, very important. But the fact that
13 companies are going to be very, very hard
14 pressed to have 56 different responsibilities
15 and 56 sets of Freedom of Information Act laws
16 makes it very difficult to deal with it at a
17 state by state level. And part of that
18 discussion too is ongoing through the NERUK
19 organization and with some of the states.

20 So it's a very, very fast
21 developing field. We're, you know, keeping up
22 pace with it, you know, at a functional level
23 in terms of preventing attacks. And we're
24 still defining, you know, even as we speak I
25 think the FCC is days away or weeks away from

Public Service Commission-Panel II
February 24, 2016

142

1 Proceedings - 2/24/16 - Panel 2
2 issuing a policy statement on what its
3 meetings with the carriers will be. And so
4 even as we sit here as state regulators and
5 ask what can we do, you know, the FCC is
6 actually still arranging what it's going to do
7 even as we've been interacting with the
8 Department of Homeland Security for quite some
9 time. So a lot, a lot, a lot going on in the
10 field.

11 On the network resiliency side, you
12 know, it's an interesting space because
13 there's a give and take with so many different
14 things. So, you know, there's an
15 interdependency between electricity and
16 telecommunications. You know, we are a huge
17 consumer of electricity. And people also
18 really hate having massive diesel tanks
19 sitting anywhere near them, right. And as we
20 densify the network and put out small cells,
21 it's simply impractical to have a generator
22 sitting on a, you know, on a street corner
23 next to the, you know, the walk, don't walk
24 sign.

25 So there is a lot of effort that

Public Service Commission-Panel II
February 24, 2016

143

1 Proceedings - 2/24/16 - Panel 2
2 goes on to make sure that we understand the
3 network architecture and that we try to have
4 battery backups, for instance, at every site.
5 And it's the really, really long outages that
6 become problematic. And that fortunately is
7 the really, really small percentage of
8 outages. Most outages are, you know, an hour
9 or two hours. You guys probably know the
10 numbers on those much better than I do.

11 But the carriers in that space too
12 spend a lot of time trying to find better
13 answers. So I was talking with one of the
14 carriers recently, and they're installing a
15 methane -- methane backup, if I remember, a
16 methane backup battery, which has a different
17 lifetime characteristic, running
18 characteristic, rather, than your traditional,
19 you know, battery cell backup.

20 Rooftops remain challenging for us.
21 But, you know, just as a for instance, as the
22 state commissioned, natural gas is a great
23 source of alternative, you know, of a -- of
24 generation when you can't get it from the
25 electric. So some of the carriers have looked

Public Service Commission-Panel II
February 24, 2016

144

1 Proceedings - 2/24/16 - Panel 2

2 at natural gas lines running to sites.

3 And, you know, there are any number
4 of, you know, there are any number of ways to
5 identify the issues, and we as an industry
6 have really tried to. But, you know, it's,
7 again, it's one of those areas where, you
8 know, the -- it's the biggest of storms, the
9 ones that there's going to be damage anyway,
10 you know what I mean, that's unavoidable,
11 right. I mean, some cell towers are going to
12 have to have the antennas ripped off. And
13 that's a tiny number, they're designed to
14 resist most of that. But it's an issue that,
15 you know, we look at it as an industry that we
16 take very seriously and that we are trying to
17 find solutions to go to that are both
18 environmentally friendly, that will pass
19 muster with zoning agencies and so on. So a
20 lot of activity there.

21 And our personal thanks to the
22 Commission itself, because when there are
23 these storms, as she was saying, there's a lot
24 of interaction with the Public Service
25 Commission. And it's beneficial to, you know,

Public Service Commission-Panel II
February 24, 2016

145

1 Proceedings - 2/24/16 - Panel 2
2 to have the ability to identify, you know,
3 where we need restoration, where roads are
4 blocked and things of that nature. So the
5 industry, you know, appreciates the
6 cooperation and partnership with the Public
7 Service Commission on that.

8 MS. CRAWFORD: Just to cheer us all
9 up because we're all cheerful and resilient,
10 all these issues go together. So a core
11 principle of security and resiliency is
12 redundancy. Having, you know, additional
13 methods for getting online. Relying on a
14 single network for large parts of New York
15 State as your high speed Internet access
16 connection is clearly a risk. You'd want to
17 have additional modes. Maybe they -- maybe
18 they cost some money to build, but it makes a
19 lot of sense to have them. So it's yet
20 another reason for fiber in the State of New
21 York is for redundancy, security, duplicated
22 network coverage. And backup storage for all
23 of our data.

24 MS. ZIBELMAN: So just to, because
25 I think this is something that's a very

Public Service Commission-Panel II
February 24, 2016

146

1 Proceedings - 2/24/16 - Panel 2
2 important point for the Commission. We are
3 obviously looking at distributed resources and
4 more of a resilient way of using distributed
5 resources better. But clearly the
6 connectedness among the various
7 infrastructures is becoming clear, and as the
8 electric industry itself is becoming more
9 digitized and we start talking about the
10 Internet of things, including all these
11 aspects, it seems to me, back up to this point
12 on cybersecurity and physical security, that
13 while we have been very successful in getting
14 our electric utilities to work with us very,
15 very closely on terms of outage management,
16 outage restoration, cybersecurity, that
17 getting both the communication companies up to
18 that same level so that -- because what we
19 find is that if there's an event, waiting for
20 Washington to tell us that we may be having a
21 problem in New York is probably not a good
22 solution. We need to know in New York we've
23 got a problem. And then if Con Ed knows who
24 to talk to at the communications companies,
25 that could be a lot faster vehicle to making

Public Service Commission-Panel II
February 24, 2016

147

1 Proceedings - 2/24/16 - Panel 2
2 sure that understanding there's a problem,
3 than waiting for someone to say oh, they
4 happen to be in the same state, we'd better
5 tell the electric utility that there seems to
6 be lot of chatter on the line around New York.
7 And so I think that unfortunately we are
8 living in a world, when it comes to physical
9 and cybersecurity, there's -- you can't do
10 enough. And it has to happen at all levels.
11 And just for everyone in the room, we are very
12 active in New York, both at the local level,
13 making sure that happens. But also I think
14 the redundancy is going to have to be in the
15 networks.

16 MS. CRAWFORD: And that also speaks
17 to the possibility and potential partnerships
18 between electrical grid managers and
19 communities that are looking to find
20 inexpensive ways to bring fiber. And that's
21 been a very successful model across the world
22 and one that New York State should have more
23 involvement in.

24 MS. GEDULDIG: So you mentioned
25 how -- I'm sorry, this is my last question on

Public Service Commission-Panel II
February 24, 2016

148

1 Proceedings - 2/24/16 - Panel 2

2 it, but to follow up on what the Chair was
3 saying, I heard you say that you're such a
4 draw -- that the communications industry is
5 such a draw on the electric utilities, how
6 much communication and coordination do you
7 have with your disaster recovery and
8 resiliency plans?

9 MS. HELMER: Yeah. I think -- I
10 think, Karen, that it's mostly driven through
11 the utility ERPs. And it's the utility ERPs
12 that include all of the information about the
13 local telecommunications companies and who
14 they are and who the key points of contact
15 are. So it's directed through them.
16 Obviously each of the companies themselves has
17 an ERP. And at various points we filed those
18 with you as well, the CLECs are required to
19 file them with you every year. So some of our
20 companies have done that, and others have done
21 it after times of emergency. But those types
22 of issues are included now in all of the ERPs,
23 largely thanks to the Commission's
24 encouragement.

25 MR. MCGOWAN: ERP is emergency

Public Service Commission-Panel II
February 24, 2016

149

1 Proceedings - 2/24/16 - Panel 2

2 response plan.

3 MS. HELMER: Sorry, Peter. Yes.

4 MR. ARON: And I guess on the
5 wireless side, you know, I'd say several
6 things. So the Department of Homeland
7 Security is -- has organized itself to make
8 sure that that level of communication is
9 happening. The quirk with cyber, of course,
10 is that while the effect is happening in a
11 state, right, the attack almost always
12 originates elsewhere, and maybe not even in
13 the country. So there's a lot of -- there's a
14 lot of jurisdictional give and take there.

15 But to answer the question
16 regarding, you know, the interaction between
17 the companies, a lot of the carriers, if not
18 all of them, have direct lines of
19 communication with the operations center, the
20 emergency operations center for the electric
21 utilities in the affected areas. So, you
22 know, step one would be making sure you're
23 there, making sure that they know your
24 situation and that you can then communicate
25 with them where restoration is most necessary.

Public Service Commission-Panel II
February 24, 2016

150

1 Proceedings - 2/24/16 - Panel 2

2 So, you know, that remains a dynamic -- a
3 dynamic communication.

4 But the companies, like I said, the
5 other point of this to stress is that, you
6 know, the wireless industry has essentially
7 set itself up to try to be as self-sufficient
8 as possible when these things happen, right.
9 So the -- there will be, you know, outages. I
10 mean, we've all gone through electric outages,
11 they happen. And what the wireless industry
12 by large and has tried to do is set up
13 networks in a way that they can promptly
14 respond to the issues that exist. So that's,
15 you know, having fleets of backup generators
16 that they can haul in to hook up when it's
17 necessary. That's having some generators at
18 sites when possible. It includes having, you
19 know, we call it the farmyard, right, the
20 GOATs, which is the generators on trucks, the
21 COLTs, cell on light trucks.

22 MS. HELMER: The COWs.

23 MR. ARON: Well, the COWs are
24 actually useless for restoration. This is a
25 common misconception. So a COW actually --

Public Service Commission-Panel II
February 24, 2016

151

1 Proceedings - 2/24/16 - Panel 2

2 MS. HELMER: They had them after
3 911.

4 MR. ARON: You can, but not
5 quickly. You actually have to bring out a
6 dedicated line to connect the COW. They're
7 great for an event like the Super Bowl or for
8 a parade because you know it's going to happen
9 and you roll out the lines, right, you
10 actually install the lines to connect the COW
11 back to the network, but it takes a little
12 while. So it can be done. But the first
13 thing you'd see at an event is the COLTs would
14 come out and the GOATs would come out, and
15 eventually you'd roll out a COW. So, to your
16 point, it certainly could happen, and it is
17 another tool in the tool box.

18 But all of that is disaster
19 planning, right, just in a big bucket of
20 disaster planning. And the carriers practice
21 it, they drill it, they go through, you know,
22 drills that are with state agencies, they go
23 through drills that are with federal agencies.
24 There are regional drills. There are, you
25 know, inside the companies they have teams

Public Service Commission-Panel II
February 24, 2016

152

1 Proceedings - 2/24/16 - Panel 2

2 that are simply dedicated to finding what the
3 weaknesses are and how to better respond to
4 them. And they drill this stuff, they live it
5 every day.

6 And it's simply the reality that,
7 you know, you can always plan for what you can
8 think of, but then, you know, the next thing
9 happens. And I don't think anybody thought
10 half of lower New York would be under water,
11 you know, before Superstorm Sandy hit, but it
12 was. And one of the problems that all the
13 networks had was an underwater -- was the
14 under water lines. I mean, that's not good
15 for any line.

16 So, you know, at the end of the day
17 there's certain interdependencies and you can
18 plan on them, but, you know, even the best
19 plan will eventually be proved to have faults.
20 And the question then is are you planning
21 adequately. I think in our industry the
22 answer is absolutely. I mean, I think we take
23 it extremely seriously. We do take it
24 extremely seriously. And are you reacting
25 appropriately. And I think it's, you know, in

Public Service Commission-Panel II
February 24, 2016

153

1 Proceedings - 2/24/16 - Panel 2
2 the latter part that, you know, that really we
3 excel. So we've looked at all of the things
4 that have failed and we try to plan around
5 them aggressively to make sure that the next
6 time there's an event we understand what the
7 weaknesses are and what the vulnerabilities
8 are and we have the ability to react to those
9 and make sure it doesn't happen again.

10 So, long winded, I'm sorry.

11 MS. GEDULDIG: It's a very
12 important topic and we are obviously very
13 interested in it.

14 So do you have any more questions?

15 No?

16 So I think we've gone through the
17 questions that we had planned for the panel
18 and I think we're pretty close to the end of
19 it. So I want to thank everybody for coming
20 and for the robust conversation. I know it
21 will be very helpful as we think about the
22 recommendations that we'll make. And please
23 come back tomorrow for round two.

24 MS. LERNER: Thank you. Can I just
25 say one final thing? Which is that I -- that

Public Service Commission-Panel II
February 24, 2016

154

1 Proceedings - 2/24/16 - Panel 2

2 I would hope that one thing which the
3 Commission and the staff takes away from the
4 discussion today is that there really are two
5 very divergent views of the broadband market.
6 And hopefully that you will be digging deeper
7 into the facts.

8 MR. KUSHNICK: I'd like to ask a
9 couple of questions. My name is Bruce
10 Kushnick. I'm Executive Director of New
11 Networks Institute.

12 How many of you read the Verizon
13 New York 2014 annual report? I didn't think
14 so. I'd like to give you some highlights.

15 First, did you know that Verizon --
16 the Verizon construction budgets have been
17 moved to the wireless department, division?
18 According to the AG, in 2011, 75 percent of
19 the budget had been moved to either pay for
20 FiOS or for the wireless departments, both
21 deployments. I.E., instead of going to the
22 local service part of the -- instead of going
23 to the local service part, the construction
24 budgets went to pay for the wireless division.

25 There's a problem with this. In

Public Service Commission-Panel II
February 24, 2016

155

1 Proceedings - 2/24/16 - Panel 2

2 2009 Verizon received a rate increase for
3 massive deployment of fiber optics and losses.
4 The losses were created, based on the 2014
5 annual report, Verizon local service paid 60
6 percent of the -- of the corporate operations
7 expense, \$1.6 billion. Verizon local service
8 only brought in \$1.4 billion. There's a
9 little discrepancy. Why did local service,
10 which only brought in 27 percent, pay for 60
11 percent of the expenses, you might ask.
12 Because Verizon has been able to manipulate
13 all the books to be able to fund all of the
14 other lines of business.

15 Let me give you some other
16 examples. Special access in New York made
17 \$1.8 billion. According to the FCC, 60
18 percent all special access lines are based on
19 copper. Those copper lines are not counted in
20 the number of access lines that are included.

21 In 2007, there were 47 million
22 total access lines in the State of New York.
23 By the end of 2014, there was an estimated 65
24 million local access lines in the State of New
25 York. Why does Verizon claim there's only 2.7

Public Service Commission-Panel II
February 24, 2016

156

1 Proceedings - 2/24/16 - Panel 2

2 million? Because Verizon is only counting a
3 subset of all the lines.

4 Now, if you go through all of
5 the -- if you go through all the affiliates,
6 you'll find out that Verizon basically has
7 dumped all of the local expenses -- all of the
8 expenses into local service. This was done
9 because under the FCC's accounting practices
10 in 2001, they set the accounting percentages
11 for all expenses by the year 2000.

12 The State of New York has never
13 done an audit for 15 years of any of the
14 affiliate transactions. The State of New York
15 and the FCC has never done an affiliate
16 transaction. What you find is that 75 percent
17 of all expenses for construction were dumped
18 into intra-state services, because of the
19 75/25 percent rule. This means that all of
20 the construction budgets have been basically
21 dumped into local service. Local service. So
22 Verizon New York lost \$2.6 billion in the year
23 2014. Over the years between 2009 and 2014 it
24 lost \$13.6 billion.

25 Now, what I'm getting at is very

Public Service Commission-Panel II
February 24, 2016

157

1 Proceedings - 2/24/16 - Panel 2
2 straightforward. Because of the FCC's rules,
3 which can be changed, Verizon local services
4 has all of the expenses but none of the
5 revenues, because the revenues are going down.
6 Where are the revenues going? They're going
7 into other lines of business, which are not
8 being accounted for.

9 Special access, which is \$1.8
10 billion, is down largely to local service.
11 But all of the special access lines, zero
12 number of lines have been accounted for.
13 There are 65 million special access lines, or
14 special access line equivalents, which are not
15 being accounted for.

16 The report I wrote prior to this
17 was by -- called It's All Interconnected, that
18 was published by PULP, that became part of the
19 Connect New York Coalition's document --
20 petition, which called for audits of the
21 books. We know for a fact that the majority
22 of the wireless expenses for construction was
23 dumped into local service or into the
24 construction of the intra-state side of this.
25 This is the known as cross subsidization. The

Public Service Commission-Panel II
February 24, 2016

158

1
2 reason why local -- so, according to CWA and
3 IBEW members throughout the United --
4 throughout the East Coast, we have been told
5 pointblank that they have been moved from
6 doing the wires to the homes, they're doing
7 the wires to the cell towers. In short, the
8 reason why New York State's upstate cities are
9 not being wired is primarily because the
10 money's been diverted. If Verizon local
11 services and all of the affiliates were paying
12 its fair share, including special access,
13 including FiOS, including the wireless
14 service, it would be profitable. There would
15 be enough money to spend to go out and wire
16 the rest of the state.

17 The petition from -- the petition
18 from Connect New York Coalition called for an
19 investigation. We have just filed two
20 reports, called Fixing Telecommunications,
21 within this docket, which basically shows all
22 of this stuff I have just talked about. What
23 you'll find is that the FCC's own data shows
24 the number of access lines, special access
25 lines, was 47 million in the year 2007. We

Public Service Commission-Panel II
February 24, 2016

159

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

estimate it to be 65 million. We have a chart that shows this.

The bottom line is that none of you have looked at the financials of Verizon New York which have been filed with the state. There is no other state that actually collects an annual report that we know of. The FCC has stopped collecting all of this data in the year 2007. And the bottom line is if you want to go out and get New York State wired and you want to lower prices and you want to make customers whole, you need to do audits and investigations of all of the affiliate companies' frozen money between the state utility, Verizon New York is the state utility, and all of the other lines of business.

Thank you.

MS. GEDULDIG: Thank you.

MR. BRODSKY: I don't have a statement but I want to put into the record the statement of Robert Masters of CWA. We had hoped for an opportunity to have that presented today, we weren't afforded that

Public Service Commission-Panel II
February 24, 2016

160

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

opportunity, so I ask that the statement be made part of the record.

MS. GEDULDIG: Okay.

MR. YAKEL: And I would just like to remind people that tomorrow is the third panel. That panel will take place not here but at New York Law School. So if you plan on attending that, please remember that the location is different than this location. Thank you.

(Time noted: 3:45 p.m.)

Public Service Commission-Panel II
February 24, 2016

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

STATE OF NEW YORK)
) SS:
COUNTY OF ORANGE)

I, KARI L. REED, a Registered Professional Reporter (Stenotype) and Notary Public with and for the State of New York, do hereby certify:

I reported the proceedings in the within-entitled matter and that the within transcript is a true record of such proceedings.

I further certify that I am not related, by blood or marriage, to any of the parties in this matter and that I am in no way interested in the outcome of this matter.

IN WITNESS WHEREOF, I have hereunto set my hand this 2nd day of March, 2016.

KARI L. REED, RPR