

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2

3 STATE OF NEW YORK
4 DEPARTMENT OF PUBLIC SERVICE

5 16-G-0058 PROCEEDING ON MOTION OF THE COMMISSION AS TO
6 THE RATES, CHARGES, RULES, AND REGULATIONS OF
7 KEYSpan GAS EAST CORP, D.B.A. BROOKLYN UNION
8 OF L.I., FOR GAS SERVICE

9 16-G-0059 PROCEEDING ON MOTION OF THE COMMISSION AS TO
10 THE RATES, CHARGES, RULES, AND REGULATIONS OF
11 THE BROOKLYN UNION GAS COMPANY, D.B.A.
12 NATIONAL GRID NEW YORK, FOR GAS SERVICE.

13

14

15

16 TECHNICAL CONFERENCE

17

Monday, February 29, 2016

18

10:12 a.m.

19

Room 223, Concourse

20

Three Empire State Plaza

21

Albany, New York 12223-1350

22

PAMELA VIAPIANO

23

Keyspan Gas East Corp.

24

D/b/a National Grid

25

26

27

28

29

30

31

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 APPEARANCES:

3 FOR KEYSpan GAS EAST CORP. d/b/a NATIONAL GRID:

4 BY: PATRIC R. O'BRIEN
5 Assistant General Counsel
6 CATHERINE NESSER
7 KENNETH MALONEY
8 PHILIP DeCICCO
9 PAMELA VIAPIANO
10 JAMES MOLLOY
11 CATHY HUGHTO-DELZER
12 40 Sylvan Road
13 Waltham, MA 02451

14 FOR THE CITY OF NEW YORK:

15 COUCH & WHITE
16 BY: ROBERT LOUGHNEY
17 ADAM CONWAY
18 ANTHONY FIORE
19 540 Broadway
20 Albany, New York

21 NEW YORK STATE DEPARTMENT OF STATE:

22 FOR UTILITY INTERVENTION UNIT
23 Gregg Collar
24 Danielle Panko
25 Kathleen O'Hare.
One Commerce Plaza
99 Washington Avenue, Suite 640
Albany, New York 12231

FOR PUBLIC UTILITY LAW PROJECT:

Lisabeth Jorgensen
Saul Rigberg, Special counsel.
P.O. Box 10787
Albany, New York 12201

FOR THE VILLAGE OF FREEPORT:

DUNCAN, WEINBERG, GENZER, AND PEMBROKE
BY: Jason Gray

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 FOR CONSUMER POWER ADVOCATES:

3 JOHN DOWLING
4 4812 Foxwood Drive
5 Clifton Park, New York 12065

6 FOR STARRETT CITY:

7 BARBARA TILLMAN

8 FOR NEW YORK OIL HEARING ASSOCIATION AND THE OIL HEAT
9 INSTITUTE OF LONG ISLAND:

10 PETROCCIONE LAW FIRM
11 BY: EMILIO PETROCCIONE
12 20 Corporate Woods Boulevard
13 Albany, New York

14 FOR URAC CORP:

15 Douglas DiCeglio

16 FOR THE DEPARTMENT OF PUBLIC SERVICE:

17 Brandon Goodrich
18 Steven Cramer
19 Nicholas Forst
20 Aric Rider
21 Ron Calkins

22 FOR LONG ISLAND POWER AUTHORITY:

23 Alex Pozdnyakov
24
25

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 (On the record, 10:12 a.m.)

3 MS. VIAPIANO: Good morning and welcome to
4 our technical conference. I am going to -- up today with
5 just a quick overview and then we're going to -- through a
6 set of our -- experts. Our witnesses.

7 A.L.J. VAN ORT: Can you check your mic?

8 MS. VIAPIANO: And everyone is saying that
9 they can't hear me.

10 A.L.J. VAN ORT: Can you just check the
11 microphone, make sure it's on?

12 (Off-the-record discussion)

13 MS. VIAPIANO: So why don't we just jump
14 right in? We'll get -- and get started. We're all here to
15 talk about KEDNY and KEDLI, which is our downstate companies.

16 So the agenda for today, as you can see, I'll
17 do a quick overview. Then we'll do a revenue requirement,
18 which will be led by Stephanie Briggs, also supported by
19 James Molloy and Dave Doxsee, the witnesses in the case.

20 Kate will step up and talk about low-income.
21 Then Sue Mais on call centers and customer performance.
22 We'll do a quick lunch break and then come back and talk
23 about infrastructure, O and M, customer products, rate
24 design, and then we'll do a quick wrap-up. Certainly talk
25 about questions and next steps. So hopefully this will

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 provide you with a good overview of the case and the basis by
3 which we can begin our discussions.

4 So to get started, just some background on
5 the companies and remind folks, KEDNY and KEDLI are our
6 operating companies downstate in -- in New York and Long
7 Island. We represent or we serve about 1.8 million gas
8 customers.

9 We have approximately 4,000 employees. We
10 represent over 4 billion in rate base across the 2 companies
11 with 12,000 miles of -- of -- of gas main.

12 Meeting our commitment to customers. So some
13 of the things that these companies have been doing since
14 2008, we've invested over 4.5 billion in our downstate
15 companies' gas networks. And what that has delivered is a
16 seamless transition of our Long Island Electric business to
17 LIPA, PSEG. We've established new call centers, customer
18 billing systems for our Long Island customers. We've
19 completed a rollout of AMR. And we've also built a new gas
20 control center.

21 We continue to main strong -- maintain strong
22 operational performance even through increasingly severe
23 weather events. We're all very familiar with Super Storm
24 Sandy and the very cold winters of 2014 and '15. So we've
25 been able to withstand that and consistently deliver on our

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 reliability metrics. So these companies continue to support
3 our customers.

4 We've accelerated leak-prone pipe replacement
5 and we are starting to deploy new state-of-the-art
6 technology, which you'll hear about later on in the -- in the
7 presentation. And we continue to complete major gas
8 infrastructure projects across Long Island and the City.

9 So what is the story? Well, we're here
10 because rate cases, generally what KEDNY and KEDLI have been
11 able to do is show an overall delivery rate decrease since
12 1995 when you take into account inflation. Significant
13 decreases from what they had been paying before.

14 We've been doing that at the time same as
15 continuing to increase significant levels of -- or putting in
16 significant levels of investments since 2012.

17 So again, increasing investment, holding
18 rates flat or stable and lower than inflation ultimately has
19 yielded us for 2015 test year returns well below the allowed.
20 So we're here to talk about a rate case.

21 Again, these slides show, again, the
22 stability of our -- in -- in just different formats, the
23 stability of our delivery rates, and as well as on top of
24 that a declining commodity rate. So again, good story for
25 our customers.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 But there is a need for rate relief, as you
3 can see. Test year returns, as I had mentioned earlier, and
4 you will see again in the revenue requirements discussion,
5 are in the range of 4 to 6 percent, well below the allowed.
6 And our credit agencies are acknowledging that. And we're
7 seeing a -- we saw a recent decline in our credit ratings.
8 So hence, we are seeking rate relief.

9 So what is the overview of the case? What
10 did we file on January 29th? I remember that day very
11 clearly. It was -- we proposed, for both companies, an ROE
12 of 9.94 at an equity ratio of 48 percent. Annual capital
13 programs for KEDNY, a little over 600 million. And for
14 KEDLI, 340 million. Operating expenses, as -- as I note
15 before in the range of -- over 500 million, and 283 million
16 for KEDLI.

17 These are on-total rate bases of 2.8 and 2.2.
18 So these are for the rate year. Overall requests of 245
19 million and 142 million. And these -- this is a net delivery
20 in bill increase. I just want to point that out. That
21 includes a reduction in the SIR surcharge, as well as base
22 delivery rate increases.

23 So what we're going to talk about today, and
24 I just want to be clear, is we're going to largely focus on
25 the 1-year case that we delivered on January 29th. That

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 being said, our case does include 2 years of data in the
3 hopes of being able to phase in the rates or discuss
4 settlement.

5 We used a historical test period. And again,
6 our revenue requirements panel will talk about that. The 12-
7 month ending September 2015. And we believe that this
8 request will give us a reasonable opportunity to earn our
9 allowed.

10 So given -- to give you a sense of what are
11 the key drivers to these cases and what you're going to hear
12 about today, we've compared the current rates, so what rates
13 are in effect today, and what are the basis behind those
14 rates and the revenue requirement to what is being proposed.

15 To give you a sense, KEDNY's current rates
16 are based on a cost of service that would have used a
17 historical test year of 2011. That was the rate extension.
18 And then the rate years were '13 and '14. KEDLI's last cost
19 of service used a historical test year of 2005, and it was
20 the full merger rate plans. So the rates -- the rate years
21 were 2008 through 2012.

22 So you're going to see some differences when
23 you compare that. So the return on rate base, you're seeing
24 what the impact is and what we need for our increased
25 investment. On KEDNY, what you can see is that that is --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 because the test year is sooner, you're seeing the true
3 impacts of the increase in our investment, whereas KEDLI,
4 because historical test year is a little older, you're seeing
5 the benefits that weren't embedded in that original 2005 test
6 year of bonus depreciation and repairs tax that are impacting
7 deferred taxes.

8 Depreciation recognizes a revised
9 depreciation study and the acceleration of depreciation on
10 leak-prone pipe. Taxes of an income largely related to
11 property taxes and, again, you'll be hearing a lot more
12 detail about this as we step through the day.

13 O and M expense, large driver to our case.
14 And you can -- and you -- what you will hear about today is
15 that these are -- these -- this includes a lot of different
16 items, but it is very much an operational issue. We need
17 operational expense. We're seeing increases in workload.
18 We're seeing increases in O and M related to our capital
19 investment and the need for our capital investment, and also
20 in the safety area.

21 The regulatory deferrals, that's largely the
22 impact of reductions. And again, you can look at these two,
23 O and M and regulatory deferrals, almost as a net decrease in
24 an SIR surcharge or the environmental cost surcharge, but
25 you're seeing an increase of the SIR moving into base rates.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 So they -- they're -- they're largely netting themselves out.

3 And then net revenues is just largely -- and,
4 again, you'll hear a little bit about that today, it's just
5 growth revenue. So again, you get to a place where we're
6 seeing a revenue request at 245 and 142 million, or 18 and 16
7 percent respectively.

8 What does this mean? It means that it's a --
9 it's showing a significant customer bill impact. We talk a
10 little bit about that. And again, you'll hear more
11 comparisons later on in the day. But just to be clear, when
12 we compare the historical test year, which reflects the
13 impact of commodity, to what we're proposing for the rate
14 year, which would be 2017, we're seeing a 14 percent increase
15 for KEDNY or 1398 a month. And we're seeing a 12 percent
16 increase for KEDLI or 1340 a month for our Long Island
17 customers.

18 These proposed bill impacts, although big,
19 when you take it all the way back, they are at or around
20 inflation. And we are offering, as I said earlier, to
21 mitigate these impacts because we recognize that they're
22 significant over a multi-year plan.

23 UNIDENTIFIED SPEAKER: Pam, what are those
24 percentages on delivery only? That first bullet.

25 MS. VIAPIANO: Pam will talk a little bit

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 about that later on in the day. But they're, I think, 27
3 prospectively or in the 20 -- in that -- in the high 20s.

4 What are the benefits that our proposal is
5 providing for customers? Again, we -- we are seeking this
6 increase to be able to modernize and enhance our
7 infrastructure and provide safe and reliable service, respond
8 to the industry-wide focus on gas safety, and introduce some
9 new and innovative technology in -- in -- to create a more
10 resilient network. And again, hear about that more today.

11 We want to enhance our customer experience,
12 AMI deployment, customer outreach. You'll hear about
13 programs later. We want to expand gas -- we want to do gas -
14 - further gas expansion and gas growth, and we are expanding
15 our assistance to low-income customers.

16 We want to promote economic development, and
17 you'll hear about some economic development programs. But we
18 do need to -- and that's what that bullet says below. We do
19 need to address the cost increase associated with delivering
20 this service. So these cost increases include addressing
21 property taxes, benefits, environmental costs, and providing
22 stability for the Company.

23 I'm looking at a lot of faces and this --
24 this slide's just out here to let folks know that we have
25 continued and we hope that this case is not a surprise. We

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 did extensive customer outreach, worked with all of you -- I
3 see a lot of familiar faces -- in an effort to make sure that
4 people understood why we were seeking the rate increase and
5 seeking to make this filing. And will -- we hope to continue
6 to work with you throughout this process to make sure that
7 folks are -- we're as transparent as possible as to what
8 we're doing and getting the feedback that we need in order to
9 have a good outcome in this case.

10 So with that, I'll pause in case anyone has
11 any direct questions to me, because we're about to start the
12 more detailed session of the day.

13 All right. With that, I'd like to introduce
14 Stephanie Briggs. She's one of the witnesses in our case.

15 Stephanie?

16 She'll talk about revenue requirements.

17 MS. BRIGGS: Thanks, Pam.

18 And as Pam mentioned in a couple of hers, I'm
19 going to give a high level of the components of the revenue
20 requirement. And then a lot of the bigger issues, dollars,
21 and they are going to be subsequently talked about by other
22 panels later on today.

23 As far as the revenue requirement, I'm going
24 to briefly touch on what Pam started talking about, the
25 comparing the last orders to our current rate filing. The

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 key components rate -- of rate base, operating expense, taxes
3 other than income. And then we have an appendix referencing
4 our schedules that are in the case, with the book numbers.

5 This is the same slide that Pam brought up a
6 few minutes ago, talking about comparing our last rate orders
7 to our current filing. A couple other things to note beyond
8 what Pam had talked about is the big change in the operation
9 and maintenance expense. A lot of that is driven by our test
10 year compared to our rate year, which we'll be discussing in
11 a few more slides.

12 The return on rate base, that's mainly driven
13 by the increase in that utility plant offset by ADT. The --
14 and Pam noted the net delivery of the 244 and then this next
15 slide as well, which is the KEDLI. Those are net of the SIR
16 surcharge reduction.

17 MR. RIDER: Stephanie?

18 MS. BRIGGS: Yes.

19 MR. RIDER: Can -- can we just clarify
20 something right now? The -- these two slides say total
21 delivery revenue increase. And -- and I know that Pam's
22 previous slide had mentioned that it was net of SIR
23 surcharges.

24 MS. BRIGGS: Yes.

25 MR. RIDER: So can you clarify for us what

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 the total delivery revenue increase is?

3 MS. BRIGGS: For -- for KEDNY, it was about -

4 -.

5 MR. RIDER: For both companies.

6 MS. BRIGGS: Yeah, I believe it's 160-ish,

7 and 280 or so roughly for KEDNY.

8 MR. RIDER: 280 --

9 MS. BRIGGS: Yes.

10 MR. RIDER: -- and then 160?

11 MS. BRIGGS: Roughly, yeah.

12 MR. RIDER: Okay. Thank you.

13 MS. BRIGGS: All right. So we'll move on to
14 the key components of the revenue requirement. The first,
15 this is the rate base. Two -- this slide and the next slide,
16 KEDNY and KEDLI are separate. In the filing this is RRP 7,
17 the rate base pages. You'll see the key components, net
18 utility plant reg assets and liabilities offset by ADIT, and
19 then working capital. And I'm going to go over, in the next
20 slide, the assumptions we used in developing these.

21 So first is gas net utility plant. The key
22 components, plant and service. We took the September 2015,
23 which was our test year, we took the plant balance plus
24 forecasted cap expenditures close during the rate year.
25 These cap expenditures are linked to the business plan. It

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 will be discussed later in a lot of the GIOP panels.

3 For the closing rules, for the major
4 projects, we used specific in-service dates. And for any
5 other projects and programs, we based it on the closing rule
6 for that type of asset. Then we -- we flowed through the
7 retirements during the period. And then we have, the next
8 component is depreciation reserve, which took the September
9 2015 test year balance plus the depreciation through the rate
10 year. And then we also flowed through the retirements and
11 the cost of removal.

12 The next component is the non-interest
13 bearing QWIP which incorporates the CapEx forecast and
14 historic analysis. And then we did have a depreciation study
15 as part of this case. This recommends average service lives,
16 H-curves, and net salvage percentages along with fully
17 recovering accelerated leak-prone pipe retirements. And
18 these -- the recommendations from the depreciation study are
19 reflected in our depreciation expense that's in the revenue
20 requirement.

21 The next key component in the rate base is
22 the regulatory assets. These 2 tables show the regulatory
23 assets that we have asked to include in rate base. So these
24 are the only ones that are reflected in the rate base. For
25 the -- the amortization expense that's on the revenue

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 requirement, it's only for SIR related deferrals. The rate
3 case expense, that's -- we've amortized that over 3 years,
4 and that's reflected in our O and M expense in the filing.

5 In addition, the Company has proposed to
6 change the carrying charges on the deferral balances from the
7 AFUDC rate to the weighted average cost of capital. So this
8 shows our historic test year balances and then the forecast
9 balances for the rate year and the 2 additional years.

10 Deferred taxes, ADIT, we took the balances at
11 September 30th, 2015, and we calculated the forecast based on
12 changes in regulatory assets in movement and plant additions.
13 For the regulatory assets, that's the change in the forecast
14 from a September 2015 through our rate year change. And then
15 for plant related additions, it was in 3 layers. It would be
16 assets affected by bonus depreciation. And that is applied
17 for federal taxes only through calendar year 2019.

18 And then we had the assets that were affected
19 by the -- eligible for plant for repair costs. We assumed
20 the 37.263 for KEDNY and 33.071 for KEDLI. And then the
21 remaining plant would be follow the normal MACRS depreciation
22 rates. And then the book depreciation expense was compared
23 to the tax depreciation and the deferred tax liability was
24 calculated.

25 This next slide is a summary of our operating

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 expense at KEDNY. You'll see the -- this shows the
3 adjustments we made to our test year, and then actually the
4 rate year that says 2014, that should be rate year 2017 on
5 this table. We're going to go through a lot of these in the
6 next couple slides and then additional panels, but there's a
7 few highlights on here. The -- in a test year, injuries and
8 damages, that was for a reserve entry made in the test year.
9 We have some PEX savings and then regulatory assessments. We
10 were adding back deferral entries that were made during the
11 test year.

12 And then we have some true-ups to normalize
13 the test year which we'll -- I'll talk about the process for
14 normalizing. In the rate year adjustments, the largest one,
15 the additional OpEx, labor and other, the operations panels
16 will be discussing most of these items later on. And then we
17 also have general inflation, rents, facilities, and service
18 company assets. And we also have increase in labor and
19 related productivity offsetting, a reduction in regulatory
20 assets with 18A surcharge going -- going down, and then an
21 increase in SIR. So those are the major drivers which we're
22 going to follow up on with more discussion.

23 This is KEDLI, which follows the same major
24 drivers. So the O and M expense assumptions, for major rate
25 year adjustments we'll talk about, any of the ones that

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 generally we don't specifically talk about, they use general
3 inflation at a rate of 4.3 percent to go from the test year
4 to the rate year.

5 Labor, we took the September 2015 test year
6 headcount and made any adjustments and then used a payroll
7 inflation rate.

8 The facilities rents, that's based on a
9 forecast of our leases and any -- if we know of any future --
10 known changes in the facilities. Service company rents, this
11 includes IS and facility service -- service company owned
12 assets that are shown as service company rents on the
13 operating company books.

14 Pension and OPEB, those are -- those were
15 forecasted using specific pension OPEB forecasts.

16 Transportation, that reflects lease and fuel
17 forecast.

18 Uncollectibles, we used the uncollectible
19 rate and then reflected that on the revenue forecast.

20 Productivity is a -- is a 1 percent related
21 to the labor costs.

22 Rate case expense, that was based on our cost
23 to compile the filing. And as I mentioned before, we were
24 amortizing that over 3 years.

25 And then injuries and damages is 2 components

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 of that. The insurance is based on our current contracts for
3 insurance premiums. And claims we used a 3-year average of
4 our claims expense to forecast that.

5 This next group, operational related rate
6 year adjustments, these are the ones that are going to go
7 into a lot more detail throughout the day. Operation
8 expense, labor, and other economic development programs. UTD
9 program membership, gas growth marketing.

10 SIR, we forecast our SIR, what we think our
11 costs are going to be for SIR. In addition, we had some shift
12 movement between KEDLI and KEDNY depending on the workload.

13 Commercial gas demand response pilot
14 incentive programs. Incremental FTEs which were amongst a
15 few different departments, HR, customer. And as I mentioned,
16 those will be discussed. The need for these -- for
17 operational needs will be discussed later on. And electric
18 bills due to PSEG LI and then the incremental IS run the
19 business costs.

20 The following 18A energy efficiency and joint
21 facilities, these are included in our O and M expense, but we
22 also have an equal and offsetting in our revenue -- in the
23 revenue requirement.

24 For O and M expenses, we started with the
25 test year of September 30th, 2015, and we made these

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 normalizing adjustments to the rate year that I just
3 discussed. But we also did normalization to make sure that
4 we were starting with a normalized test year. One component
5 of that was we had PWC come in and they reviewed our service
6 company and our operating company expenses. Their procedures
7 included validation of data based on examination of
8 underlying source documentation, and they had them into 4
9 different groups that they tested on.

10 The first was vendor costs where they looked
11 at the top 25 vendors' dollar amount in the test year. Then
12 they did 13 random sampled vendors that ranked in the top 26
13 to 100 spending in the test year. And then they did 10
14 random sampled from vendors ranked over 100.

15 The next category they looked at was payroll
16 expenses. On the service company, they sampled from the
17 largest 20 operating departments and then they sampled from
18 20 random departments.

19 For the operating companies, they did random
20 samples of outliers, meaning that they looked at things that
21 didn't look consistent on the operating companies.

22 The third category is employee expenses.
23 They took the top 25 single expense reports and top 25 -- 50,
24 excuse me, P-card transactions. They randomly sampled 15
25 expense reports ranked 26 to 100, and 10 random sampled from

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 expense reports ranked over 100. And then they sampled 25
3 random P-card transactions.

4 The last category that they did was general
5 ledger journal entries. These are judgmental sampling of
6 specific transaction types, adjustments, corrections, manual
7 uploads.

8 In addition to the PWC review, the Company
9 performed additional normalization checks. That consisted of
10 searches of vendor name, project titles, manual journal
11 description and employee expense keyword searches. So the
12 results of those we used for the normalization of the test
13 year.

14 MR. CONWAY: Can I ask a question on that?

15 MS. BRIGGS: Yes.

16 MR. CONWAY: So this is for both KEDNY and
17 KEDLI?

18 MS. BRIGGS: Yes.

19 MR. CONWAY: And then -- so can you just
20 clarify for me this test your normalization process? What
21 the end result dollar-wise was? Was that shown on one of the
22 prior slides? Can you maybe point me to -- basically, I'm
23 just trying to figure out what's the bottom line from this
24 exercise in terms of dollar amount?

25 MR. O'BRIEN: So if you look at -- it's in

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 the revenue requirement testimony.

3 MS. BRIGGS: RRP 2.

4 MR. O'BRIEN: Yeah. This is an exhibit we
5 attached to reports. And it shows there's -- there's very
6 clear schedules that, you know, set forth total expenses that
7 we looked at and then the net result.

8 MS. BRIGGS: In RRP 2 in the filing it's for
9 normalization adjustments.

10 MR. CONWAY: Yes.

11 MS. BRIGGS: And that has the adjustments we
12 made, and it would say like vendor name, project title. And
13 then those flow to the -- flow through to the individual. If
14 you were looking at a certain expense type, like consultants
15 --

16 MR. CONWAY: Yes.

17 MS. BRIGGS: -- if we had an adjustment
18 related to that type of expense type, it would also flow
19 through. And on -- on the individual O and M exhibits, if
20 they had an adjustment it would say test year normalization
21 and the amount.

22 MR. CONWAY: Okay. Was it shown on Slides 23
23 or 24 anywhere?

24 MS. BRIGGS: No. It's embedded.

25 MR. CONWAY: It's -- okay.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. O'BRIEN: It's embedded in some of the
3 numbers.

4 MS. BRIGGS: It's embedded in them.

5 MR. O'BRIEN: KEDNY, just to give you an
6 example, is 2.5 million dollars assessments that we made.

7 MR. CONWAY: Okay.

8 MS. BRIGGS: Yeah, so the detail is within
9 each -- each type of cost type, consultants, contractors,
10 employee expenses. If there were specific adjustments we
11 made for the normalization, they'd be reflected in those
12 specific exhibits in the filing which is RRP 3 is the O and M
13 exhibit. So they would be reflected on all the individual
14 ones in there. And as Patric mentioned, RRP 2 has a summary
15 of the adjustments by the type of analysis that was
16 performed.

17 This is actually -- so Slide 27 was a
18 duplicate of Slide 26. Another normalization -- part of our
19 normalization process we did is -- there was a trending
20 analysis done of O and M expense, which compared the changes
21 from calendar year 2005 through our historic test year, the
22 purpose to identify trends in cost by functional area.

23 As Pam mentioned as well, you'll hear the
24 theme today, one of the main drivers -- major drivers in this
25 was the increase -- increase in operational workload. That

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 was driving most of -- of -- a majority of the increase along
3 with increased benefit costs, increased energy efficiency
4 program expenses, increased uncollectible amounts, increased
5 shared services costs, and then increases due to effect of
6 more than 10 years of inflation comparing the 2005 through
7 our test year.

8 These were offset by decrease in injuries and
9 damages cost, decreased storm costs, and decreased regulatory
10 assessment costs.

11 MR. RIDER: Stephanie, you have a line item
12 there that says increased energy efficiency program expenses.
13 But isn't it true that there's a matching revenue?

14 MS. BRIGGS: Yes. This was -- this was just
15 looking at the trend in the O and M.

16 MR. RIDER: So it's really just the change.
17 It will show as an O and M expense change, but it's not
18 driving rates?

19 MS. BRIGGS: Right. This was -- this was
20 just an analysis looking at our -- our O and M cost from 2005
21 through our test year. This was not looking at the revenue
22 requirement change over that time. It was the O and M
23 expenses that we looked at.

24 Moving on to the next component of revenue
25 requirement was other taxes. The key components of this are

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 property tax, gross receipts tax, payroll taxes, and other
3 taxes. For property taxes, the calculation of the rate years
4 reflect adjustments for new plant closings above the
5 historical average, plant retirements, and growth factors.
6 Any known obsolescence changes were also included in this
7 forecast.

8 Gross receipts tax, that was calculated for
9 the rate year using the GRT taxes per the revenue forecast.
10 Payroll taxes follow the same assumptions in process as the
11 labor amounts in O and M. And then other taxes, any historic
12 year, normalizations were made. And then it was increased by
13 general inflation rates.

14 And then the next few slides, the -- these --
15 this appendix, this is showing you the books in which
16 schedules are in the rate case. So as you mentioned before,
17 you'll see on -- in Book 10, RRP 2 was a summary -- summary
18 of our normalization analysis and adjustments. So hopefully
19 this is a guide that can help you when you're looking for
20 certain areas, which exhibit number and which book to go to.

21 Any other -- any questions now?

22 MR. LOUGHNEY: Can I ask a question? Back to
23 Slide 20 about leak-prone pipe, and the -- the depreciation
24 study, it says recommending fully -- fully recover -- full
25 recovery of accelerated leak-prone pipe retirements. Could

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 you explain what that is? Is that because you were
3 projecting a longer life on some of these pipes, and now that
4 you're not getting that longer life, you have to advance the
5 recovery?

6 MS. BRIGGS: Yes, we were propose --

7 MR. LOUGHNEY: I see head -- heads nodding.

8 MS. BRIGGS: -- proposing a 20-year life on
9 the leak-prone pipe.

10 UNIDENTIFIED SPEAKER Y: -- accelerating to a
11 20-year plan to get rid of all leak-prone pipe, we figure
12 this 20-year life depreciation would match that replacement
13 strategy.

14 MR. LOUGHNEY: So is this for the new pipe or
15 for the pipe that's coming out?

16 UNIDENTIFIED SPEAKER Y: The pipe that's
17 coming out.

18 MR. LOUGHNEY: Yeah. Okay.

19 MR. RIDER: I'd like to answer that -- well,
20 I'll ask it. Did you guys consider extending the life of
21 plastic mains that you were going to put in the ground? Kind
22 of the same approach that you did for looking at the group of
23 assets that you're taking out, did you consider saying we're
24 going to put these longer lived assets in the ground. And
25 should they last significantly longer than your -- your

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 average service lives for that -- that asset group?

3 MS. BRIGGS: Joan?

4 UNIDENTIFIED SPEAKER Z (JOAN): That actually
5 is all part of the depreciation study. And there is changes
6 in lives, net salvage factors. And I do believe that in some
7 cases the main lives have been extended. The study is a
8 pretty extensive study. It's got a lot of details. It looks
9 at retirement history, dispersion curves, so there will be a
10 lot of different changes per each account for each company.

11 So there is -- it's -- it's in the -- I'm not
12 sure of the book that the depreciation study is in, but
13 there's a lot of detail of the study where you can look at
14 all that information. So there are definitely changes in
15 lives and extensions of some of the main lives.

16 UNIDENTIFIED SPEAKER: And Joan, it's Book 3.

17 UNIDENTIFIED SPEAKER Z (JOAN): Book 3?

18 UNIDENTIFIED SPEAKER: 3 or 4.

19 UNIDENTIFIED SPEAKER Z (JOAN): 3 or 4?

20 Okay. And there was some prefiling IRs that had a lot of
21 detail analysis, band analysis that were also included as
22 part of the study results.

23 UNIDENTIFIED SPEAKER: Book 5.

24 UNIDENTIFIED SPEAKER Z (JOAN): Book 5?

25 Okay. Sorry.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 UNIDENTIFIED SPEAKER: Anymore depreciation
3 questions while you have Joan?

4 MS. BRIGGS: Any other revenue requirement
5 questions? All right. Then we'll move on to Kate Granger,
6 who's going to talk about the low-income.

7 MS. GRANGER: I thought I'd start by talking
8 -- giving you a snapshot of where we are today with our low-
9 income programs. So for KEDNY on the reduced residential
10 rate, we have about 61,000 customers of which 39,000 are
11 heating customers and close to 22,000 non-heating customers.
12 Our annual spend is about -- well, in 2015, was 9.5 million.

13 For KEDLI we have 11,000 customers. 90
14 percent are heating customers and the remainder are non-
15 heating customers. Our annual expenses for 2015 were about
16 3.3 million.

17 What -- what the Company is proposing is to
18 raise --.

19 MR. LOUGHNEY: I'm sorry; could you go back
20 to that one?

21 MS. GRANGER: Sure.

22 MR. LOUGHNEY: You didn't talk about the
23 overspend and underspend. So the balance -- the -- just
24 looking at KEDNY, it says the balance as of December 31st,
25 2015, is an overspend. Is that just in 2015 or is that

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 accumulated?

3 MS. GRANGER: That's accumulative.

4 MR. LOUGHNEY: Okay. And then so why -- why
5 is there such a discrepancy between KEDNY and KEDLI where
6 you've got an underspend on KEDLI and an overspend on KEDNY?

7 MS. GRANGER: When -- when we originally
8 negotiated the -- the KEDLI reduced residential rate program,
9 it was during our merger. And at the time, we didn't know
10 how many low-income customers that actually were on Long
11 Island. And so we looked at KEDNY and we knew there were
12 about 60,000 and determined there were probably about half of
13 that on Long Island, and -- and -- and determined the budget
14 based on that.

15 Experience has shown that that's not a true
16 reflection of what the actual number of customers -- low-
17 income customers are on Long Island.

18 MR. RIGBERG: And Kate -- Kate, this is Saul.
19 It -- it -- it looks, from the -- the -- the census data,
20 that there are a significant number of low-income people on
21 Long Island?

22 MS. GRANGER: Right.

23 MR. RIGBERG: So -- but why are so few
24 enrolled in your program?

25 MS. GRANGER: That's a good question, Saul.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 You know, I liking -- I liken it to HEAP. So we know
3 nationwide that only 1 in 5 customers who are eligible for
4 HEAP actually get it. The numbers are probably very similar
5 in Long Island. We've had a -- we've always had a difficult
6 time in identifying those customers for -- for various
7 reasons.

8 So most recently, we've increased our
9 consumer advocacy efforts. We're mirroring the Upstate New
10 York model, so we're doing a lot more outreach. We're doing
11 expos on Long Island now. And hopefully we'll be -- be able
12 to identify more.

13 MR. RIGBERG: Well, the -- is the constraint
14 to enter the low-income program the receipt of HEAP benefits?
15 Or can -- are there other ways people can enter the low-
16 income program as in KEDNY and Con Ed?

17 MS. GRANGER: There's -- there's 2 ways to
18 qualify for the program. If you get a HEAP payment, then
19 you're automatically enrolled by our system. You can be
20 enrolled manually if you qualify for the same programs that
21 you qualify on KEDNY, which are Medicaid, temporary
22 assistance, SSI, Veterans' benefits, Child Care Plus, SNAP,
23 et cetera.

24 MR. RIGBERG: Okay. I think that's one issue
25 we'd like to explore with the Company, you know, how to

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 increase the participation in the low-income program through
3 -- through other means since HEAP is constrained by the
4 budget of -- that's allocated to HEAP.

5 MS. GRANGER: Okay. Thank you.

6 Any -- any other questions on this slide?

7 So the Company is proposing 5-percent
8 increase in the residential reduced rate program. And I
9 thought it might be helpful to show you how significant the
10 discounts are currently.

11 So for KEDNY heating customers, for their
12 monthly service charge, they're currently getting a 5 -- or
13 56.52 percent discount. And our proposal will bring it up to
14 61.52.

15 And for KEDNY (sic) heating customers, it's
16 currently at 83.19 percent and the proposal is for 88.19.
17 And on the second rate block for heating customers, in KEDNY
18 it's 49.61 percent. And the proposal will bring it to 54.61
19 percent.

20 MR. CONWAY: Can I ask a question on that?

21 MS. GRANGER: Sure.

22 MR. CONWAY: The -- the proposed service
23 charge discounts, are -- are those off the -- first of all, I
24 guess, are the customer charges changing under the proposed
25 rate case?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. GRANGER: Yes.

3 MR. CONWAY: They are? Okay. So is this --
4 the -- the column with proposed service charge discount, is
5 that the proposed discount off the changed customer charge?

6 MS. GRANGER: Yes, it is.

7 MR. CONWAY: Okay.

8 MR. COLLAR: Kate?

9 MS. GRANGER: Yes.

10 MR. COLLAR: So -- I guess asked another way,
11 just to clarify, the proposed discount -- increased discount
12 offsets any increase in the customer charge?

13 MS. GRANGER: Sure.

14 UNIDENTIFIED SPEAKER: -- specifics, but the
15 only customer charges that were increased would be
16 residential -- all other residential heating --.

17 A.L.J. VAN ORT: Can you say that again
18 louder? We're -- we're losing you here.

19 MS. DISE: So, yeah. And I'll go over this
20 and I'll -- in more detail when I do rate design. But the
21 only customer charges that were changed were the residential
22 non-heating customer charges. Because of the increase in the
23 low amount of volumes that flowed through the non-heating
24 customers, it was unrealistic to put it all in the volumetric
25 charge.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. COLLAR: So -- so does this increase in
3 the discount offset the complete increase in the non-heat
4 customers?

5 MS. DISE: I don't think so, but before I get
6 up I'll have that answer for you. Because I wrote down the
7 customer charge increase and then actually what it was, so.

8 MR. COLLAR: Thank you.

9 MS. DISE: Yes, you're welcome.

10 MS. GRANGER: Okay. So this increase would
11 increase the current spending in KEDLI by just over 3 million
12 dollars. And it would increase the current spending in KEDLI
13 by about 1.3 million. We -- we -- we're proposing to work
14 with HRA and OTDA to automate the program enrollment which
15 would expand the eligible pool of customers.

16 Based on the experience that Con Ed has
17 with -- with this file, customer identification and file
18 transfer, it could pose a significant increase to the number
19 of customers eligible for our program. So we're proposing to
20 collaborate with Staff, HRA, OTDA, and other interested
21 parties to -- to develop a means of -- of prioritizing these
22 matches. And we think it -- it deserves a -- really a lot of
23 consideration. And we -- we want all the interested parties
24 involved in that.

25 And then -- is there a question?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 And then the last one is to propose the
3 elimination of the On-Track program.

4 MR. COLLAR: Kate, one quick question. Have
5 the companies reached out to OTDA already to gauge -- to
6 gauge their interest in that?

7 MS. GRANGER: Not with -- we started with
8 KEDNY and have had some talks with H.R. -- HRA. We haven't
9 talked with OTDA yet.

10 And in terms of energy efficiency, the
11 Company's proposing an incentive of \$7500 for our low-income
12 customers to convert to natural gas. And given the cost
13 difference between natural gas and oil, we think it would be
14 a significant savings to our low-income customers.

15 And -- and I just want to comment on the
16 amount of the incentive and the number of customers. We have
17 a pilot, similar, in Upstate New York, and we've converted
18 about 49 customers.

19 And we really would like to experiment to see
20 what it would take to do the conversions in both KEDNY and
21 KEDLI. The conversion incentive program would work closely
22 with weatherization agencies who -- who would not only handle
23 the conversion, but would make sure the customer got all the
24 weatherization assistance they needed.

25 Are there any questions?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Okay. That's all I have. I'd like to
3 introduce Sue Mais, who's the vice president of Customer
4 Care.

5 MS. MAIS: I'm going to start out by talking
6 about the proposal for our new quality service program first.
7 The overall proposed program for new service quality is
8 designed to, first, drive a higher level of customer
9 satisfaction to our customers across our business. Two, it's
10 including more stringent metrics in some cases. And, three,
11 it includes a scoring mechanism that allows the Company to
12 offset underperformance within one metric to be offset by
13 superior performance of another.

14 Also prior to this proposal, KEDLI was not a
15 regulated business for us. And KEDNY is. So what we're
16 proposing is, and what we're recommending is that KEDLI
17 become a regulated business. And we're also proposing that
18 it go in as the -- at the same level of service as KEDNY.

19 In addition, we -- we believe we've proposed
20 or we are -- we're going forward with a -- a proposal for
21 more controllable metrics, actionable metrics. And the
22 reason for this is because actionable metrics will lead us to
23 an opportunity for continuous process improvements. We're
24 also looking to bring in new metrics that are less influenced
25 by external factors such as weather or commodity pricing.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Our customers are also becoming more
3 technically savvy, and they've -- they have really shown a
4 strong desire to be serviced through multiple channels beyond
5 the call center itself, such as web and self-service. So
6 we're proposing to capture this experience and measure them.
7 And in that case, we've broadened our metrics to include
8 these experiences, as well.

9 So -- so we're introducing a new
10 scorecard and I'm going to put the scorecard up here as I
11 walk you through it. The -- the new scorecard concept is --
12 is very simple. Just as before, as you -- as you look at the
13 scorecard, just as before, if the Company misses a penalty
14 threshold metric, we are subject to the penalties. And the
15 penalty, in the slide in front of you, is the band that is in
16 yellow.

17 However, if the Company achieves an
18 offset target, which you'll see in green on the slides here,
19 we -- we've set it at a level such that those -- we've set
20 the scorecard at a -- at a level designed to achieve stretch
21 performance. And if we do achieve that offset level, we can
22 apply those offsets to any other metric that is at a penalty
23 amount.

24 Offsets can only be applied, however,
25 when a penalty is incurred. If there are no penalties in the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 entire scorecard, then there are no offsets that can be
3 applied. Even if they're earned, they can't be used.

4 You'll note that for each metric there
5 is a floor, and the floor is shown in red here. And each --
6 for each metric, a floor has been established. The Company
7 cannot offset a metric if it falls below the floor. So I'll
8 provide you with some examples in a moment of how that works.

9 Also you'll see on the chart here that
10 we've added to incentive-only metrics. If we earn -- and the
11 way these incentive metrics work is if we earn the positive
12 revenue adjustment incentives-only metrics through
13 performance -- through our performance, these amounts can be
14 reduced by a negative revenue adjustment of any other metric
15 where we've achieved a negative.

16 So I'll give you a couple of examples.
17 Oh, I'll keep the scorecard up, actually. It will work
18 better that way. So let's say that 72 percent -- if the --
19 the contact center itself achieves a score of 72 percent, if
20 you look at the chart that's up here, 72 percent falls above
21 offset level, because you'll see that our offset level is set
22 at 62.2 percent.

23 In this case, we would achieve no
24 penalties and there's no positive revenue adjustment that's
25 given to us. Okay?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Another example I'll provide is, let's
3 say, appointments kept falls below 87.9 percent. So in this
4 case, if you look at the chart, that's below the penalty
5 floor. This -- this would result in a penalty of 1.98
6 million. You'll see that in red.

7 If, during that same period of
8 performance, the contact center being at 72 percent was --
9 which is exceeding the offset level, there is no offset since
10 the 1.98 million penalty for performance fell below the
11 penalty floor for appointments kept. So again, cannot be
12 offset if it falls below the penalty floor.

13 Third example, appointments kept
14 performance is at 89 percent this time, which is below the
15 penalty threshold but not the floor. Okay? And the contact
16 center level is at 72 percent, which is above the offset
17 level. A penalty of 1.98 million is incurred for
18 appointments kept, due to their performance, which would then
19 be reduced by point -- or a half a million offset for
20 performance on the contact center level, which would
21 ultimately result in a negative revenue adjustment or penalty
22 owed by the Company of 1.48.

23 So you're going to be deducting the .5
24 that's earned by the offset performance of the contact
25 center, where they've gone above and beyond, and it can

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 offset that metric with appointments kept because they fell
3 into the penalty level above the floor.

4 MS. JORGENSEN: Excuse me; I have a
5 question. This is Lisabeth Jorgensen from PULP.

6 Can you explain please how you
7 determined the weight percentage per metric, especially the
8 last one listed there for escalating complaints?

9 MS. MAIS: The weightings were
10 determined on the values that we've had in the past -- in our
11 past scorecards.

12 MS. JORGENSEN: For -- for a particular
13 year or just 2015, for the test year?

14 MS. MAIS: No; we went back 3 or 5
15 years, I think -- 3 years with performance -- 3 years, yes.

16 MS. JORGENSEN: 3 years? Okay.

17 MS. MAIS: We've also added new metrics
18 to the scorecard, again, to reflect the experience of our
19 customers. So we had to rebalance with that.

20 MR. LOUGHNEY: What are escalated
21 complaints? That's not just the normal complaint? That's --

22 MS. MAIS: No --?

23 MR. LOUGHNEY: -- somebody who's really mad?

24 MS. MAIS: Escalated complaints are when a
25 customer goes beyond the contact centers and puts a complaint

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 in to the Commission. It then would be looked at by the
3 Commission, comes back to the call center by the -- and is
4 looked at the by escalated complaint group. It's considered
5 a QRS. We work it. If we're successful, then that complaint
6 is resolved. If we are not successful and the customer
7 believes that they are, you know, still wronged or the issue
8 still exists, then it will become an SRS which is a
9 chargeable complaint.

10 In this case, the escalated complaint is
11 set at a 100,000. The -- the percentage is set at a metric
12 that is a 100,000 per customer -- or set -- metric is set for
13 100,000 customers.

14 MS. JORGENSEN: Just one follow-up. So
15 just so that I'm reading this correctly, will you only --
16 will the penalty amount in that calculation only take place
17 if 100,000 customers or 200,000 or 300,000 were to be
18 accumulated for escalated complaints?

19 MS. MAIS: No; we've got to have one point --
20 in yellow, you'll see here, we've got to have fewer than --
21 in order to hit the target, we've got to have fewer than 1.1
22 percent of 100,000 customers.

23 MS. JORGENSEN: Oh, okay. Thank you.

24 MS. MAIS: Yeah, I wasn't clear on that. And
25 that's for KEDLI.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. DICEGLIO: Doug DiCeglio from URAC. I'm
3 just curious what the logic is by offsetting different
4 metrics with positive metrics? Poor metrics to positive
5 metrics? What -- how does that help the -- the poor metrics
6 columns? You know, how -- how does that improve the ones
7 where you're not doing so well?

8 MS. MAIS: Actually, we believe that it
9 incents us to go above the floor. The floor, as you see, is
10 -- is below our penalty threshold. So by not being able to
11 offset when it falls below the floor, it's driving us to a
12 higher level of performance in the scorecard.

13 MR. COLLAR: I think -- I think -- go ahead,
14 Aric.

15 MR. RIDER: You sure?

16 MR. COLLAR: Well, I just got to top that, I
17 guess. A piggyback on that if -- if say your complaint rate
18 is low, but your satisfaction level is high, where is the
19 incentive to improve the complaint rate as opposed to just
20 maybe even improve the satisfaction level even more to offset
21 the complaint rate?

22 Did that make sense?

23 MS. MAIS: It -- it does. It does.

24 MR. COLLAR: I don't see the incentive on the
25 negative side versus just increasing the positive side.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. RIDER: I -- I guess maybe to even say it
3 a different way, what happens if it's very cheap to improve
4 one of the metrics and your focus then is to spend a very
5 little amount of money to improve a certain bucket that
6 completely offsets a -- a penalty somewhere else? How do we
7 balance the -- or -- or is there a -- a cost per metrics to -
8 - to achieve or something like that, so that we can try to
9 determine whether the -- the appropriation of -- of penalties
10 are fair?

11 MS. MAIS: Yeah, we -- we didn't change --
12 first of all, we didn't change the overall penalty amounts.
13 And, you know, we are --.

14 MR. COLLAR: I'm sorry; just -- sorry to
15 interrupt you, but that's -- that's my next question. Is
16 that 9.9 million -- that's the same amount you have now for
17 four metrics?

18 MS. MAIS: Yes.

19 MR. COLLAR: So you're adding three metrics
20 and keeping the same amount?

21 MS. MAIS: Uh-huh.

22 MR. COLLAR: Okay. Thank you. Sorry.

23 MS. MAIS: Yes. Yes. And so each of these
24 metrics has a dollar value associated with it. And our goal
25 is not to have a negative revenue adjustment period. No one

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 wants to have a negative, you know, revenue adjustment.

3 And truly, the goal of this scorecard and
4 these new metrics are to drive higher performance, not, as
5 you said, game the system. I mean, we -- there's nothing
6 that is -- there's no value to us. There's no value to the
7 customers to doing that.

8 We'd only have to find an offset if we fall
9 below in that area. We'd have to overachieve in another area
10 in order to, you know, eliminate that negative offset -- or
11 that negative revenue adjustment.

12 MS. VIAPIANO: Sue, I just wanted to ask you
13 if you can clarify, the penalty amount which is the threshold
14 where we incurred the penalty, these are at or above what we
15 currently have; right?

16 MS. MAIS: These are at, yeah -- yeah. This
17 is at.

18 MS. VIAPIANO: So we -- we are basically
19 incenting our -- we're saying we'll pay a penalty if we go
20 below what we currently have for service quality, period.
21 Because it would hit the threshold. We are just trying to
22 get -- pay some incentive to --

23 MS. MAIS: Incent our performance up.

24 MS. VIAPIANO: -- ourselves up and get
25 better.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. MAIS: Right. Right. So we will -- we
3 will pay a penalty if we fall below.

4 MS. VIAPIANO: Where -- what our current
5 threshold is.

6 MS. MAIS: The floor. Right.

7 MR. COLLAR: Right. But that penalty is
8 offset if you overachieve on another metric --

9 MS. VIAPIANO: No.

10 MR. COLLAR: -- correct?

11 MS. VIAPIANO: Because the threshold would
12 pay regardless.

13 MS. MAIS: Right.

14 MR. DICEGLIO: Is there a reason why the
15 threshold and the floor are not the same number? I mean why
16 -- why do you have that -- that gray area in between the two?
17 Why wouldn't you just have it where you -- if you fall below
18 the threshold, then you get a negative --?

19 MS. MAIS: We set the floors to ensure that
20 we aren't exactly -- that we aren't leaving a one metric, you
21 know, on the side. The floor is designed to ensure that the
22 Company is looking at all metrics balanced across all the
23 businesses. Because if you fall below that floor, there is
24 no ability to do an offset, and you are going to pay the
25 penalty.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. RIDER: Are -- are these metrics at your
3 current performance levels? I mean, did you increase them at
4 all? They're -- they're at the standard?

5 MS. MAIS: Yeah. I'll give an example of --
6 of one that increased. Complaints for -- PSC complaints for
7 -- in this case, this is KEDLI. But for KEDNY, to show you
8 more stringent, prior to 2013 our complaint rate for KEDNY
9 was 1.7 complaints per 100,000 customers. In 2013 it went up
10 to 1.1 per 100,000 customers. And we're recommending that we
11 make it a little tougher and we move it to the 1.05. And
12 that's based on our performance over the last 3 years.

13 MR. RIDER: I just have one more question.
14 Is there anything in your case in terms of FTEs or capital
15 expenditures or O -- O and M expenditures that you believe
16 will improve any of these metrics?

17 MS. MAIS: Yes.

18 MR. RIDER: Thank you.

19 MS. MAIS: Any other questions?

20 Okay. All right. So changes to
21 staffing. So we're proposing to add 2 new employees
22 dedicated to the Commission-related escalated complaints.
23 These are the QRSs and the SRSS I just mentioned. There
24 would be one addition for KEDLI and one addition for KEDNY.

25 We are also proposing to add 6

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 incremental call center representatives and 1 supervisor for
3 KEDNY. And we're doing this in order to meet the higher
4 service level that we are proposing. That's one of the other
5 changes that we have in the scorecard is to move from a 59
6 percent service level to a 62 percent service level.

7 In 2013 the service level was moved from
8 52.9 to 59, and that was achieved without additional funding
9 for FTEs. We're now proposing that we move to -- from 59 to
10 62.2 and we believe that we need, in order to do that, to add
11 these additional FTEs.

12 MS. JORGENSEN: One question.

13 MS. MAIS: Uh-huh.

14 MS. JORGENSEN: Thank you.

15 I'm wondering how many employees you
16 have currently in KEDNY and KEDLI dedicated to responding to
17 Commission-referred escalated customer complaints?

18 MS. MAIS: I'm drawing a blank. I want
19 to say 10. I -- can I take that offline and give it to you?

20 MS. JORGENSEN: Absolutely.

21 MS. MAIS: Because I'm going to guess. I
22 think I know the answer, but I -- I just drew a blank.

23 MS. JORGENSEN: Okay.

24 MS. MAIS: I can see the group, but -- in my
25 eyes, in my mind's eye --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. JORGENSEN: Thank you.

3 MS. MAIS: -- but I'll let you know. Yes.

4 Okay.

5 Okay. Now we'll move on to the customer
6 offices. And first what I want to say is that we are not
7 proposing to close any of our Long Island customer offices.
8 Instead, what we're looking to do is to improve accessibility
9 and service, particular to our low-income customers on Long
10 Island. So in -- in order to improve outreach, we're looking
11 to build a Brentwood Long Island standalone office.

12 Brentwood, we know from research, is one
13 of our cities with the highest concentration of low-income
14 customers. So what we plan to do is to build out this
15 standalone customer office and include within that office
16 space to enhance space, to be able to hold our expos.

17 Expos are a flagship program that we
18 began in New York. It's a opportunity for us to bring our
19 low-income customers together under one roof where we provide
20 them with support and help for their National Grid bill. But
21 we also bring in and partner with human and -- and social
22 services agencies to also help our low-income customers. So
23 it's really a one-stop shop under one roof for our customers.
24 This enhanced space will allow us to do this right at -- at -
25 - within the Brentwood facility.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 We're also looking to add two additional
3 new customer -- or consumer advocates to man that office.

4 With the addition of Brentwood, we will now have two
5 standalone office -- or not two standalone offices, but two
6 all-purpose offices. So we'll be able to take payments and
7 meet with customers on all their inquiries in an office in
8 Suffolk County, as well as an office in Nassau County on Long
9 Island.

10 Okay. In addition, we propose to add a
11 network of third party authorized payment centers. And this
12 will make it even more convenient for our customers. Today
13 our customers make payments at the existing offices that are
14 PSEG offices. We have a contract for PSEG to take those
15 payments.

16 So what we're seeking to do is to
17 increase the number of offices that customers can make
18 payments in and put them in areas or open them in areas where
19 it's convenient, where customers shop, et cetera, and -- and,
20 again, on transportation lines, making it convenient.

21 We're also seeking to eliminate the
22 \$1.25 fee that are -- are -- that are charged by our third
23 parties. We think that will make it more affordable, again
24 for our low-income customers to do that.

25 Okay. We're also not seeking to close

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 any Downstate New York customer offices. Instead, what we'd
3 like to do is improve, again, outreach and education. And
4 we'd like to do that by enhancing our Metrotech customer
5 office. Our Metrotech office is in an ideal location. There
6 is a lot of foot traffic there. There's also -- we are
7 surrounded by a number of colleges where we would have an
8 opportunity to partner and design an internship with those --
9 with those colleges, and use those interns to come in and man
10 the -- what we're going to call a sustainability hub. And
11 that would be within the customer office. So we would build
12 out that existing customer office at Metrotech.

13 The sustainability hub would be a place
14 where customers could come to learn about gas safety, but
15 also about energy efficiency and other programs and
16 resources. So even as they come to make a payment in
17 Metrotech, they'll be able to stop by the sustainability hub
18 at the -- at the same time.

19 We have a current sustainability hub in
20 Massachusetts, and we're using this as the basis to build one
21 in New York as well, but with the added bonus of adding gas
22 safety to this one in Metrotech.

23 Any other -- any questions?

24 MR. COLLAR: Just a quick question. Does --
25 oh, wait. I'm sorry. Does the Company take or each --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 either company take payments by credit card over the phone?

3 MS. MAIS: Yes.

4 MR. COLLAR: Do they charge for that?

5 MS. MAIS: There is a charge.

6 MR. COLLAR: What is that?

7 MS. MAIS: Larry, do you know what the credit
8 card charges are?

9 (Off-the-record discussion)

10 MS. MAIS: Okay. I'll take that offline,
11 too, because I -- yeah, to check.

12 MR. COLLAR: So there's no -- there's no
13 proposal to credit that -- that still?

14 MS. MAIS: No, that's still just --.

15 MR. COLLAR: Okay.

16 MS. MAIS: Any other questions? Well, if
17 not, then I think -- you want to keep going?

18 MR. O'BRIEN: Judge, we're at the time for a
19 break, but it's early. So about an hour we can weave
20 somebody else in or we can break now.

21 A.L.J. VAN ORT: How long -- how long's your
22 next presentation?

23 (Off-the-record discussion)

24 A.L.J. VAN ORT: Folks, if you didn't hear
25 that, we're going to turn to Slide 91 and take this out of

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 order.

3 MR. MONGAN: So I'm holding everybody up for
4 lunch?

5 A.L.J. VAN ORT: Just give us a moment just
6 to get -- get there.

7 MR. MONGAN: Sure.

8 A.L.J. VAN ORT: Okay. Looks like everybody
9 stopped moving.

10 MR. MONGAN: All right. Hello everyone. I'm
11 -- I -- I have an opportunity to talk to you about the
12 customer products and gas growth proposals. We have -- and
13 I'm going to go through two -- two areas. We have new -- new
14 target programs where we're going to be enabling more access
15 to -- to clean and versatile gas -- natural gas really to
16 help business owners and -- and customers in their homes to -
17 - to better manage their energy. And I'm going to walk
18 through those programs both for -- for KED Long Island, KED
19 New York City.

20 And I -- then -- then I get a chance to
21 talk about three exciting past REV demonstration projects
22 that we're -- that we're proposing, really to help us
23 integrate safety with more resilient gas systems, as well as
24 to give customers and enable customers for more engagement
25 and -- and own -- their own choice on how they deploy energy.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 So let me start with, you know, this
3 overall slide is about KED Long Island. And I'm going to
4 cover a couple of the programs up front and then I'm going to
5 talk about economic development. And I'm going to talk about
6 the utilization technology development program collectively
7 with -- with New York City because they're -- they're
8 integrated programs.

9 But for Long Island, we're looking at an
10 incremental investment of about 3.3 million dollars. And of
11 that, about 3 million are associated with new programs,
12 predominantly focused on economic development and expansion -
13 - and gas expansion.

14 The -- you know, the best way to start
15 on Long Island is really to talk about where we are from a
16 saturation standpoint. Across Long Island, 55 percent of the
17 structures currently have gas service, which means that
18 there's a significant number of customers, 394,000, that
19 still do not. There's only about 31,000 structures on Long
20 Island along existing mains. And we still have about 100,000
21 customers that have gas into their house but they're not
22 heating with it. So there's -- there's some messaging that
23 still needs to be continued on an ongoing basis.

24 So what I'm going to talk about now with
25 the -- on -- I'm on Slide 93, which is the -- the -- the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 structures along main -- structures without main, 394,000.
3 We -- we have and introduced a program, which we're going to
4 continue to sponsor in the rate case, which is neighborhood
5 expansion program. And what that program is enabling us to
6 do is to get out and -- and run incremental main
7 prospectively to customers and neighborhoods that -- that we
8 see we can convert in a period of time. And it's a
9 neighborhood program. It's not miscellaneous calls.

10 Second thing is that it's -- by running
11 this incremental main, it's putting us in front of over 3,000
12 new customers that currently aren't served today. As well,
13 during the process, we're -- we'll be actually converting
14 about 1,000 customers. So it's an annual program and
15 essentially giving us a -- a significant increase to our
16 annual main, again, toward serving the 394,000 customers.

17 So for this, for both the neighborhood
18 expansion program, as well as the approximately 12,000
19 customers that are within our territory, within our main
20 today or on our main, we're -- we're proposing to increase
21 our marketing and -- and increase our education and outreach
22 activities. And there's about 350,000 targeted for the
23 neighborhood expansion programs.

24 Most of that focus is going to be to --
25 to reach customers that we want to inform of the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 opportunities to convert. There's a -- it's a significant
3 marketing effort to get to customers along prospective main
4 extensions. You have to introduce them to gas. You have to
5 convince them of the -- of the values. And we have to
6 aggregate a group of folks along these mains in order to --
7 to actually agree to convert at the same time.

8 Separately, we're proposing about
9 \$400,000 to increase our efforts on existing customer -- low-
10 use customers, as well as customers along main. If you look
11 at the drop in oil prices, the -- you know, a lot of these
12 customers right now aren't thinking of gas as they were a
13 year ago or 2 years ago. So our spending had dropped off
14 commensurate with the prices of oil. At this point we -- we
15 really do have to boost that outreach, that education, that
16 advice to customers about actual gas and its value.

17 So one other product offering for Long
18 Island is an offering that we're looking at for getting a
19 great value and integrating with some of our other programs,
20 some meaningful opportunity to align with this particular
21 rebate offer for residential customers along the mains where
22 we're -- we're going in to do replacement work.

23 We're proposing about \$1,000 dollar --
24 \$1,000 rebate for customers to connect now while we're
25 replacing that main. You know, the value from being in the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 street, having the trench open is considerable. A \$1,000
3 rebate probably is approximately what half of the cost the
4 customer would incur to connect an appliance -- get a plumber
5 in, connect appliance, buy an appliance.

6 That value, you know, applied now,
7 relative to coming back and doing that installation 3 years
8 from now is -- is significant. We see it as almost a break-
9 even. And we've also included in the -- in -- in the case
10 \$56,000 of revenue towards this.

11 So let me -- let me briefly talk about
12 New York City. Very similarly, New York City has built into
13 it some proposals for new programs.

14 MR. RIDER: Sean?

15 MR. MONGAN: Yes.

16 MR. RIDER: Can I -- can I just ask a
17 question before you go on to --

18 MR. MONGAN: Yes.

19 MR. RIDER: -- to New York?

20 And -- and this may involve Ross and Lauri in
21 terms of the -- this infrastructure panel. But when I look
22 at the gas infrastructure and operations panel budget for
23 growth, the historic budget is 135 million. And in calendar
24 year -- and that was the historic test year. The calendar
25 year plan is 98 million, then it goes to 82 million, 81

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 million.

3 If we're increasing spending on this
4 neighborhood expansion program, I would expect that we would
5 see more money spent on growth. Do you -- do you have an
6 understanding of how the budgets could be going down, but yet
7 we're trying to get gas to more customers?

8 MR. MONGAN: Which line items are you
9 referring to there? I'm sorry?

10 MR. RIDER: If you look at the exhibit, Gas
11 Infrastructure and Operations, Panel One.

12 MR. MONGAN: Okay.

13 MR. RIDER: That -- that's -- I'm just -- you
14 must have coordinated with -- with those folks in terms of
15 what the -- the growth spending was. And I'm just trying to
16 understand, you know, why that spending would go down? Maybe
17 I could save that for that group, but just want to get an
18 understanding of how -- how your testimony relates to their
19 testimony.

20 MR. MONGAN: So -- so relative to the new
21 connections part, we are -- we've included a consistent
22 pattern of -- of growth of new connections going out. It
23 hasn't really varied much. There might be some slight
24 changes per year. But the -- the intention about the way we
25 see growth forward is that there's going to be a consistent

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 amount of services that are going to be built into the outer
3 years.

4 And I would suggest to you on Long Island
5 they probably range between 6500 and -- and 7 -- 7500
6 normally. So that's, I think, what we've included, looking
7 forward.

8 From a main standpoint, you know, we had
9 already begun in a test year to do some of this main as part
10 of a neighborhood expansion program. So we've built it into
11 the plan going forward to have a consistent and continuous
12 advancement of new growth main.

13 And it's not to say that we don't get
14 customers that request gas and we run main to them. This is
15 meant to be prospectively growing at a -- at a pace. So I --
16 I don't believe that we've dropped off main. I think we've
17 kept it relatively flat with the intention that we'll have a
18 -- a big din about 25 -- 24, 25 miles of -- of consistent
19 neighborhood expansion main.

20 So I think we'll -- we'll just -- at the
21 break we'll take a look and see how that relates to the other
22 numbers if that's okay.

23 MR. RIDER: Thanks.

24 MS. JORGENSEN: Mr. Mongan?

25 MR. MONGAN: Yes.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. JORGENSEN: Yes. Hi. May I ask you a
3 question about the neighborhood expansion program?

4 MR. MONGAN: Sure.

5 MS. JORGENSEN: It's -- I'm looking at Slide
6 93. I was just wondering if you have the demographic makeup
7 available of the residential population within the different
8 expansion areas, the neighborhood expansion program?

9 MR. MONGAN: We do. We -- there's a -- right
10 now we probably have identified -- in fact, the first pass, I
11 think we identified 800 different areas that we could run
12 main extensions in excess of 500 feet. And the criteria that
13 we're using include having a density. So the density in that
14 500 foot of main has to be 8 potential customers, with the
15 intention that the way the program would work is if we got 3
16 to say yes we'll run the 500 feet today, you know, that --
17 that mindset.

18 Within the demographics or within that
19 data, we do know, you know, different elements. We -- we --
20 we can identify if they're low-income from the data that --
21 that we have. So far I think there's been some
22 miscellaneous. I -- I can't tell you if there's anything
23 specific to low-income customers. I don't believe we have
24 targeted the low-income area yet.

25 We are looking, though, at broader main

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 extensions. We're looking at Mastic Beach as an area.
3 Again, it's -- you know, there'll be main extensions that
4 will touch some neighborhoods that are low-income. But it's
5 -- the prospective main takes into consideration how do we
6 deliver the best value for neighborhoods but also the system.
7 And you want to expand smartly across the system from the
8 ends of our mains out into the areas that have high density.

9 So it's not a particular requirement for
10 low-income, but you know, we -- we factor that into some of
11 our -- our scoping and -- and assessment of where we can go
12 next.

13 MS. JORGENSEN: Thank you.

14 MR. MONGAN: So I'm going to talk about New
15 York City, KED New York. And there's about 2.8 million of
16 incremental investment built into this plan. It really is
17 exclusively for new -- new programs. You know, one -- one of
18 the drivers here is natural gas vehicles, so I'm going to
19 touch on -- on -- on what we're doing with natural gas
20 vehicles.

21 The -- we're proposing a -- a rebate in
22 New York City to try to increase the amount of vehicles that
23 are converted to -- to NGV. The pricing for converting a
24 vehicle it's about 35 percent cost above what a normal
25 vehicle would cost. The -- the stations in New York City --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 we're not proposing to do anything about the stations, just
3 to create some more throughput.

4 What we have here is a -- what we think
5 is a -- a smart rebate offer, one that would provide enough
6 money that customers would be interested in -- in moving
7 their fleets, but it also would have an offsetting revenue
8 that we've built into the case. So we're proposing \$475,000
9 worth of annual rebates which may -- may get you about 400
10 vehicles. And we have \$18,0000 revenue offset.

11 We found in New York City that it's been
12 flat and dropping in terms of NGV vehicles being increased to
13 fleets. Long Island, on the other hand, we actually have
14 seen some growth, so we haven't, you know, included an NGV
15 rebate proposition for -- for Long Island.

16 So I'm going to talk about economic
17 development. These are -- out of -- out of the requests,
18 these are the most significant parts of our ask. Both for
19 Long Island and for New York City, we're proposing \$2 million
20 of portfolio for grants that we can apply in the territories.
21 And we found and we've been involved in economic development
22 in Upstate New York and -- and had some great success. So we
23 modeled the programs for Long Island and for New York City
24 based on that success.

25 We've spent the time going out and

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 structuring these programs, meeting with the local economic
3 development and IDA organizations in New York City and in
4 Long Island. And you know, we see a tremendous opportunity
5 to leverage the -- you know, the program learnings from
6 Upstate New York, the program learnings from Sandy, which
7 were, the end of the day, successful. We -- we helped about
8 360 businesses recover from Sandy. We spent about \$10.3
9 million, you know, in that process.

10 But putting in place a stable program
11 that we can deploy each and every year has -- has huge
12 advantage for building out the -- the economy and also
13 building out the local communities. So some of the areas
14 that we've -- we've had success in the past and we intend to
15 deploy in New York City and Long Island is -- are on -- on
16 this page, but urban revitalization, energy infrastructure
17 assistance, brownfield industrial building redevelopment,
18 manufacturing, productivity assistance, entrepreneurship and
19 innovation, clean energy and economic development and
20 strategic business recruitment.

21 So we -- again, we -- we've been
22 involved in programs like these before. We see great value
23 in the Downstate New York region.

24 And customer R and D, we had been
25 involved and I'm not sure how long ago it was, but there's an

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 opportunity for us and we put it in the proposal both for New
3 York City and for Long Island -- it'd be a \$25,000 impact to
4 budget. But to rejoin GTI's utilization technology
5 development collaborative.

6 And this particular collaborative is
7 focused on end-use customers. It's focused on some
8 technologies that we think have some -- some great value, and
9 certainly are very timely to customer choice. This
10 particular R and D, it's not funded by millennium surcharge.
11 And it will be -- it's looking at first costs, environmental
12 benefits, other advantages for customers. We see this and we
13 have had some great experience with this in the past. We --
14 we're -- we're proposing to rejoin it in -- in this period of
15 time.

16 So I get to talk about 3 exciting gas
17 REV demonstration projects now. And one of them is -- and --
18 and these really are a way to develop and use our
19 technologies to help gas customers. And we see an
20 opportunity to test these. We see an opportunity to help
21 promote customer engagement and customer choice.

22 One of them is a -- what we're calling
23 the flood zone protection package. And -- and I'll go -- go
24 into that in a little bit more detail in the next slide. But
25 it's the broader demonstration project, because we're looking

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 at 500 customers in each Long -- Long Island territory and
3 the New York City territory and the flood -- flood zone
4 protection areas.

5 We're also looking at installing micro
6 CHP -- micro CHP home energy management solutions. So this
7 is home level CHP units. We see that advantage, one, it will
8 impact customers, you know, their costs -- their energy
9 costs. And we see an opportunity to kind of build a -- a
10 share in there. It absolutely -- we want to look at its
11 resiliency. We want to look at how it might become a source
12 for the electric grid.

13 And also we -- we see an opportunity to
14 learn a lot about the customers' usage and tendencies and
15 changes in pattern of usage because we're going to tie this
16 together with some of the technology in the flood zone
17 protection package.

18 And the -- the third program is a
19 customer demand response program. I mean, this is really --
20 how do we influence the decision making of businesses to
21 participate with us, you know, and agree to participate with
22 us to lower demand when we're on those peak days? So there's
23 a rebate intended value built into this program. We want to
24 test it. We want it to be certain. We want to make sure
25 that we can depend upon it. But it's a -- it's a pilot

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 looking at 20 customers in New York City and 10 customers in
3 Long Island where we would have control over some of their
4 gas devices.

5 So to just to get into flood zone
6 protection, give you a feel for some of the technologies that
7 tie into this, you know, we're looking at gas automated
8 metering, AMI, to give us the source of communications -- to
9 give us the source of controls, but also to give us the
10 source of information.

11 So we're talking about having flood and
12 methane detection. We're talking about having, you know,
13 auto shutoff capability for the gas service to the house.
14 We're looking at usage analysis over the AMI on when and how
15 the customers use energy more specifically, and in much
16 shorter time intervals, how would that, therefore, inform the
17 way we can build out new programs for energy efficiency and -
18 - and -- as such. And we're looking at pressure switches and
19 on -- on-grid sensors. That combination of packages built
20 into these 500 sites is what our intention is.

21 We see the same 500 sites or some of
22 those sites being the -- the source of where we're going to
23 put the micro CHP because we want to take advantage of the
24 AMI So one program can be built into 10 -- 10 of those
25 houses in each of the regions as part of our -- our proposal.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 This is -- I mean we look at gas REV as
3 an opportunity to learn a great deal that we can then come
4 back and figure out how to build into broader programs. In
5 this -- in these proposals, we're -- we're talking about an
6 investment of 1.35 million for New York and 1.23 million for
7 Long Island for the programs that I've outlined.

8 Any questions?

9 MR. RIDER: I got a couple, Sean.

10 MR. MONGAN: Sure.

11 MR. RIDER: So -- so the first question is
12 for the flood zone protection package, are -- does the
13 Company want to target low pressure systems, high pressure
14 systems? Or is that not a factor in -- in that plan?

15 MR. MONGAN: It is. It's the -- we're going
16 to target low pressure flood -- flood zone area.

17 MR. RIDER: Okay. And then the next question
18 I have is in terms of economic development is there a
19 corresponding customer or volume adjustment to the sales
20 forecast for -- for implementing those programs?

21 MR. MONGAN: Not -- not built in. I think if
22 -- if you look at a lot of the programs, I think there's
23 matching investments. There's development of, you know,
24 areas that are -- would otherwise not be developed. So the
25 timing -- I mean, there's absolutely going to be the ability

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 to target specifically what margin will come out of this.

3 It's more about job creation. It's more
4 about retention. It's more about, you know, enabling, you
5 know, the buildout of businesses. So we don't have a clear
6 tie to revenue. I -- I don't expect it to be an exceptional
7 amount of revenue, but we do track jobs. We track jobs,
8 created jobs, retained.

9 A.L.J. VAN ORT: Can I just ask one
10 question about the automatic shutoff? Is this something that
11 goes to the curb stop or is it something within the home?

12 MR. MONGAN: Anybody? John?

13 MR. JOHNSTON: It would be with the --
14 in the home. It's an electron device that -- that sits on --
15 just butt next to the meter and what's on the -- the same
16 technology as the AMI device.

17 A.L.J. VAN ORT: So it's inside the home?

18 MR. JOHNSTON: It's inside the home.

19 A.L.J. VAN ORT: Do you wish to continue or
20 did you -- or you wish to take a break?

21 MR. O'BRIEN: We're proposing to take a break
22 until 12:30.

23 A.L.J. VAN ORT: Okay. Okay. Then we'll
24 recess.

25 (A luncheon recess was taken at 11:48 a.m.)

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 (The conference resumed at 12:33 p.m.)

3 MR. TURRINI: All right. So welcome back
4 from lunch everybody. My name is Ross Turrini and I'll be
5 walking through -- you through the infrastructure and gas
6 safety and performance metrics portion of the presentation.

7 So just first, this investment plan is
8 designed to provide safe, reliable gas service at a
9 reasonable cost to our customers. We are going to make
10 significant capital expenditures as part of this plan.
11 They're going to be around increasing gas safety and
12 reliability of the gas networks, modernizing the gas
13 transmission system and distribution infrastructure,
14 promoting gas growth in a manner consistent with our policy
15 objectives, and enhancing storm resiliency and our ability to
16 respond to future weather events.

17 The investments are basically broken
18 into 4 broad categories, growth, mandated, reliability, and
19 non-infrastructure investments.

20 This slide just outlines the 3-year
21 investment plan for KEDNY. It starts at 603 million in
22 calendar year '17, 677 million in calendar year '18, and \$632
23 million in calendar year '19.

24 This is just a graphical representation
25 of the investment plan and also starting from our actual

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 spend in fiscal year '13 and '14. As you can see, the
3 biggest piece of these slides on the graph is the blue
4 section, which is the mandated which is being driven
5 primarily by two things, City-State construction investment
6 and the increasing main replacement programs that we're
7 proposing.

8 For KEDNY, just to talk about some of
9 the major drivers of the capital investment plan, main
10 replacements are proactive leak-prone pipe replacement. We
11 are ramping up the 50 miles in the first rate year. There
12 are some increases in growth and then we've seen a
13 significant, significant increase in our City-State
14 construction public works that we do in support of
15 infrastructure replacement by the local municipalities
16 including New York City and the State.

17 Incremental investment projects. Our
18 Northern Queens Master Plan is a big reinforcement project of
19 the Northern Queens area. Citizens Tunnel Reliability
20 Project is a -- is another reinforcement reliability project
21 to reduce risk on the system.

22 Our large diameter cast iron system
23 ceiling and lining -- when you look at our leak-prone pipe
24 replacement programs, they are on 12-inch pipe and below. We
25 have about 100 in New York City of larger diameter cast iron

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 pipe, 16 inches and above. This is very difficult pipe to
3 replace. One of the main reasons is the lanes. There's just
4 not a lot of room when you start to try to replace 36- or 42-
5 inch pipe. What we are using is a -- a new lining system and
6 also cast iron joint ceiling to extend the life of those
7 pipelines.

8 We're also looking at our LNG Tank 2
9 upgrade at Greenpoint. The LNG provides critical part of our
10 supply on peak day. Right now those tanks are -- are over
11 40-plus-year-olds and we're going to be looking to do some
12 work to modernize them and -- and ensure their reliability,
13 going forward.

14 Metropolitan Reliability Infrastructure
15 Project, we actually have a slide here later. We'll -- I'll
16 talk a little bit more about that, but that's a big
17 transmission main project in Brooklyn.

18 And AMR deployment. We have a lot of
19 AMR deployed across New York City already and we're going to
20 be continuing and finishing that program.

21 Switch to a minute for KEDLI. Our first
22 year of the rate year we're proposing \$337 million. Second
23 year, 381, and then 371 for the third year. Again, this is
24 just a graphical representation but, again, you'll see the
25 big sections here are the blue sections which is the mandated

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 work which has our leak-prone pipe replacement projects.

3 Just an overview of some of the major
4 investments that we're making on Long Island. Our main
5 replacement program proactively planning, we're looking to
6 increase that to a base of 115 miles a year, our base growth,
7 and then we also have a lot of enforcements and reliability
8 investments.

9 Some of the big incremental projects are
10 storm hardening, remote shutoff valves, the LNG tank upgrade.
11 We have a small, small portion of large diameter cast iron
12 lining that we would do on Long Island. It's not as
13 significant as in New York City.

14 And then our northwest Nassau
15 transmission main and control valve, this is both a
16 reliability and reinforcement project for our transmission
17 system in northwest Nassau. And we'll talk more in detail.
18 I have a slide on that.

19 So first, I'll just start with KEDNY,
20 our accelerated leak-prone pipe replacement. That is defined
21 as unprotected, bare or coated steel, cast iron, wrought iron
22 mains, and unprotected steel or wrought iron services. We
23 have approximately 1900 miles of this low leak-prone pipe in
24 New York City.

25 We're proposing to increase that program

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 from 47 miles to 50 miles in the rate year, also replacing
3 250 gas services.

4 We're proposing a mechanism to fund the
5 leak-prone pipe retirements above the base level included in
6 the rates. This is designed to give -- drive us to get to a
7 20-year replacement program compared with the current rate of
8 over 40 years.

9 The leak-prone pipe replacements will
10 reduce risk of gas leaks and main breaks, improve gas system
11 performance and gas reliability, and also reduce methane
12 emissions. Okay.

13 MR. LOUGHNEY: Question?

14 MR. TURRINI: Sure.

15 MR. LOUGHNEY: What's the cost
16 associated with a mile of replacement of leak-prone pipe? So
17 you're going from 47 miles to 50 miles. What's the
18 incremental cost associated with it?

19 MR. TURRINI: So it can -- so New York
20 City can vary greatly, depending on where that actual project
21 is and what size the project is.

22 MR. LOUGHNEY: Okay.

23 MR. TURRINI: Do we have -- we have the
24 average unit cost that we're using?

25 MR. PETROCCIONE: Yeah, so it's running at

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 about \$600 a foot.

3 MR. TURRINI: It's a -- yeah, about \$600 a
4 foot.

5 MR. LOUGHNEY: So it's almost \$10 million for
6 this incremental 10 -- or 3 miles then; right?

7 MR. TURRINI: Yeah, roughly.

8 MR. LOUGHNEY: Okay.

9 MR. TURRINI: But, again, it -- it depends on
10 -- you got to be careful when you look. Yes, it depends on
11 the mix of work, how much 4-inch versus 6-inch versus 8-inch
12 versus 12-inch we're doing. Right? It depends on -- on
13 where we're locating the main or it depends on where we can
14 get the lane.

15 It's a very, very dynamic process when
16 you look at the costs, you know, in -- in New York City on --
17 on -- on the main replacement work.

18 MR. LOUGHNEY: Just one other question.
19 I guess it's for KEDNY and KEDLI. How do you prioritize
20 where you go first? Like are there certain pipes or --?

21 MR. TURRINI: So we have a -- we have an
22 algorithm. We have a risk model where we rank -- we -- we
23 rank the pipe based on risk.

24 Active corrosion in accordance with the
25 code always rises to the top of the list and that gets

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 ceiling and cast iron lining. As I said before, we have,
3 especially in New York City, about 107 miles of very large
4 diameter cast iron pipe. When you look at these roadways,
5 there are a ton of other infrastructure that is underneath
6 the ground. Sewer, water, storm drains, electric, you got
7 old fire lines in there. It -- there aren't a lot of lanes.
8 So to go in and leave that main active at 42 or 36 inches and
9 then try to find another lane in the street, in order to be
10 able to replace that, is extremely difficult to do.

11 One of the techniques or 2 of the
12 techniques that we're using are cast iron lining. We
13 actually line the pipe with a -- a synthetic fabric. And
14 also joint sealing, where we robotically go in and -- and
15 seal the internal joints. There's a big difference in the
16 mode of failure between 12-inch pipe and below, and 16-inch
17 pipe and above on cast iron.

18 The real risk and a danger on 12-inch
19 and below is breaks. Okay. It's a catastrophic failure of
20 the main which causes very, very severe leak, as opposed to
21 on the 16-inch and above -- and above -- excuse me -- above
22 cast iron, that pipe leaks at the joints. It doesn't break.
23 If you've ever seen a -- a 16- or a 24-inch cast iron main,
24 it's about an inch and a half or an inch and a quarter of --
25 of cast iron. They -- they don't break. They leak at the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 joints.

3 The CISBOT technology, the robot
4 technology, as well as the -- the lining technology are --
5 are great technologies to repair -- actually not repair, to
6 extend the life -- I'm sorry; Bob's eyeballing me from the
7 back row there -- actually extends the life of the pipe to 50
8 -- 50 years or more. So that's very important for us.

9 The lining also forms a new layer
10 impervious to gas, eliminates existing leaks, and prevents
11 future leaks, extends that life to more than 50 years. The
12 reconditioning the pipe and extending the life of the larger
13 diameter pipe and defers this replacement allows us to invest
14 the capital and resources directed at the smaller diameter
15 pipe which is the much higher risk. And we're also proposing
16 a productivity sharing mechanism for any cost underruns
17 around this.

18 MR. LOUGHNEY: What does that --?

19 MR. TURRINI: Yes?

20 MR. LOUGHNEY: What does that mean? So
21 underrun.

22 MR. TURRINI: So we're going to do a -- we're
23 look -- we're -- so we're looking -- so each one of these
24 projects tends to get individually estimated because they're
25 a complex project to do, right. And what we're looking to do

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 is propose a pilot with the Commission where we would look at
3 managing the productivity and -- and the efficiency of those.
4 And if we're underrunning those projects, there would be a
5 funding mechanism or a sharing mechanism back with the --
6 with the consumer.

7 MR. LOUGHNEY: Okay.

8 MR. TURRINI: Storm hardening. We're looking
9 at a storm hardening for 25,000 gas services within the FEMA
10 designated flood zones on Long Island, 85,000 services within
11 the designated flood zones in New York City. These would be
12 automated gas shutoff valves that would truly be triggered by
13 flooding, and they would be on a fixed communication network.
14 We'd be doing the work over the next 5 years.

15 It would allow for the remote gas
16 operation and monitoring and shutoff, stop the gas flow when
17 flooding is detected preventing regulator over-pressurization
18 and the potential of risk -- potential incidents, and
19 provides a real-time customer account of services impacted
20 interruption for the impacted customers.

21 This is -- the shutoff technology is the
22 same technology that Sean talked earlier about as part of the
23 REV Project. The REV Project is much more comprehensive
24 where it looks at methane detection and AMI metering at the
25 same time.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 System reinforcement. So we all saw the
3 cold -- extreme, extreme cold weather we had a few weeks ago.
4 Our system reinforcement projects every year are designed to
5 ensure that we can provide safe and reliable gas service to
6 our customers on a peak day.

7 We had near design conditions or near
8 peak day conditions Sunday, February 6th, I think it was.
9 The system profound -- performed extremely, extremely well,
10 and we had no system-related outages.

11 Reinforcement projects are essential to
12 support and continue to serve the growing demand that we
13 have. We're replacing undersized mains, looping or
14 connecting system end points, uprating system pressures from
15 low pressure to high pressure, replacing and/or rebuilding
16 undersized district regulator stations, and transferring
17 customers from low pressure to high pressure systems.

18 I would just like to spend a few minutes
19 talking about the Metropolitan Reliability Infrastructure
20 Project. This a \$252 million project consisting of 34,000
21 feet of 30-inch, 350-pound transmission pipeline from Linden
22 Boulevard in East New York to Maspeth Avenue in Greenpoint.

23 The project completes a loop of the
24 Brooklyn backbone. The Brooklyn backbone is our main
25 transmission facility that runs through the heart of Brooklyn

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 and, therefore, greatly enhances the reliability of the
3 Downstate New York transmission system, allowing for
4 continued operation during contingency scenarios.

5 The project also supports the use of
6 remotely controlled valves once installed. Should there be a
7 need to shut down a section of the system, allowing for
8 sections of the backbone to be shut down in emergency
9 situation without generating large scale system outages.

10 The project reduces or eliminates
11 dependency on increasingly constrained Newtown Creek transfer
12 station where we get gas from Con Ed. The project reduces
13 and eliminates system dependency on Greenpoint LNG facility
14 and supports the shutoff -- the shutdown of tank 2 for the
15 planned capital maintenance. The project also supports the
16 long-term growth allowing for incremental supplies to be
17 transported across the Downstate service territory in
18 Brooklyn.

19 So now just a minute about the Northwest
20 Nassau Project. Northwest Nassau Project is a transmission
21 main replacement and gas system reinforcement project located
22 in Northwest Nassau, part of Nassau County. This is our
23 first transmission that was built in -- on Long Island.
24 It was installed in the early 1950s. It's getting close to
25 being at the end of its useful life, and we need to replace

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 that main before it gets to the end of its useful life.

3 Phase 1 is fiscal year '18 and '19 with
4 a construction price of about \$61 million, installing about
5 1.7 miles of 24-inch transmission main and installing 2
6 regulator stations.

7 Phase 2 takes place in -- takes place in
8 fiscal years '19 and '20 with a price of about \$100 million,
9 installing approximately 3.9 miles of 350-pound transmission
10 main.

11 And phase 3 is in fiscal years '22 and
12 '23 with a price tag of about \$123 million. And that's the
13 relaying of approximately 4.8 miles of gas main 1, which runs
14 along the Long Island Expressway Service Road in Northwest
15 Nassau County.

16 So now I'm just going to switch to --
17 for a minute to one of the primary drivers, especially in New
18 York -- specifically in New York City, of our -- our capital
19 expenditures. City-State construction projects are projects
20 where we have to replace our main due to interferences with
21 City construction projects. While we coordinate with New
22 York City to forecast these projects as accurately as
23 possible, the City has significantly ramped up their
24 infrastructure replacement over the last 5 years, and they
25 continue to ramp up their infrastructure replacement.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 While we do replace some leak-prone pipe
3 on these projects, we do also replace gas main that's already
4 been installed or plastic pipe that's been there, too,
5 because it's in conflict. You can see the spend here down in
6 the bottom of the page, but fiscal year '14 we're at \$106
7 million.

8 Last year we spent about 157. Our
9 forecast for fiscal year '16, based on this proposed City
10 budgets, are \$196 million. Fiscal year '16 is this actual
11 current -- starts April 1st for us. And in fiscal year '17
12 we're, again, based on the City's forecasted spend, we're
13 looking at \$237 million.

14 For these reasons, we are proposing a
15 mechanism to reconcile the cost of the City-State
16 construction that exceeds or falls below, so choose up or
17 choose down, with the Company's rate allowances.

18 MR. RIDER: Hey, Ross?

19 MR. TURRINI: Yes.

20 MR. RIDER: Has the Company -- has the City
21 been able to spend its forecasted budgets?

22 MR. TURRINI: So I can't -- I can't tell you
23 whether they're spending their forecasted budgets yet. What
24 I can tell you is -- is that when we get down to the level of
25 spending to ramp up, they continue to ramp it up, ramp it up,

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 ramp it up. And we're continuing to have to meet that
3 demand.

4 They seem to be insatiable with the
5 amount of work that they're doing. They're hiring another
6 100 engineers specifically to do City-State construction work
7 in the -- in the Brooklyn-Queens area. You know, so they're
8 -- they're making the investments and they're ramping up the
9 resources to do it.

10 And we expect -- we seriously expect to
11 see these -- these types of numbers. They're -- they're -- I
12 know they're incredible when you look at the -- the historic
13 spend, but they have just continued to ramp up.

14 MR. LOUGHNEY: So does that mean like the
15 City's construction schedule is more than double what it was
16 in '14?

17 MR. TURRINI: Yes.

18 MR. LOUGHNEY: Because you're -- because
19 you're more than double here; right?

20 MR. TURRINI: Absolutely.

21 MR. LOUGHNEY: Okay.

22 MR. TURRINI: What we're seeing in the
23 Brooklyn and Queens and Staten Island services territories.
24 Absolutely. You know, previously a lot of work took place in
25 Manhattan. They're now starting to concentrate on the outer

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 boroughs, so we're seeing significant ramp-ups in those
3 projects.

4 So gas expansion in KEDNY and New York -
5 - I think Sean covered a lot of this before; right? We got
6 low national -- no -- low natural gas commodity prices and
7 mandates to phase out heavy oil. In addition to the new gas
8 service requests, the Company continues to see a significant
9 number of requests from -- for nonfirm to firm service
10 upgrades. And the expanding gas service can provide benefits
11 in the form of energy cost savings, job creation, and
12 increased local tax revenue and environmental benefits. To
13 support gas growth, the Company must invest in gas mains,
14 services, and system reinforcement.

15 Now I know you had some questions
16 previously about the -- the numbers from the test year to --
17 to where we are in the first rate year. So in the -- in the
18 test year, there were 3 things that were driving that
19 significant number.

20 There was a -- a significant about \$15
21 million in carryover work and invoice and billing that
22 carried from a previous year into that test year. There was
23 about -- there's \$15 million that we're -- we've proposed a
24 tariff change for requiring customers to contribute to the
25 reinforcement work which was originally captured in the spend

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 in the test year, which now would be a -- a change in the
3 tariff. So it wouldn't be captured in our base rate.

4 And then the third piece, there was
5 about \$5 million reduction in reinforcement work.

6 UNIDENTIFIED SPEAKER: And that's for
7 Long Island?

8 MR. TURRINI: That was Long Island.
9 Yeah, I'm sorry. I'm ahead of myself.

10 The Long Island expansion -- the growth
11 has slowed in calendar '15 due to drop in oil prices, but
12 growth in KEDLI service territories remains strong. Sean
13 talked to you about extending the neighborhood expansion
14 program, so I'm not going to talk to you a lot about that.

15 But the calendar year '17 goal was 930
16 conversions and 125,000 feet of main installation for that
17 neighborhood expansion program.

18 So just a minute, I said before, LNG
19 provides a significant portion of our reliability and our
20 supply on peak days and extreme cold weather days. The LNG
21 storage facilities are approximately 45 years old and require
22 investment to support continued service. They need bulk head
23 -- bulk head repairs, dike repairs, fire system upgrades,
24 control system upgrades. I'm not going to drain the whole
25 slide; right?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 The LNG -- they're critical pieces of
3 our supply portfolio for reliability and peaking supplies.
4 And certain projects requiring facility outages will impact
5 near term gas supply plants. So there's -- these are big
6 important pieces of equipment that we operate.

7 And before I move on to gas safety
8 programs and initiatives, I'll stop on our capital
9 investments. Okay?

10 So I'd just like to switch subjects for
11 a minute. Gas safety programs and initiatives. We are very,
12 very serious about our gas safety programs and initiatives.
13 Right here, I'm just going to talk about 4 buckets as we just
14 sort of give an overview on some of the things that we're
15 doing.

16 But public outreach and education, we're
17 in the process of applying a lot of best practices across our
18 programs in the U.S., especially in New York.

19 We're looking at enhanced gas safety
20 awareness programs, manage prevention programs, and first
21 responder training which some of the -- our online first
22 responder training has won some awards across the industry.

23 Residential methane detection, advancing
24 commercially available detection technology. It's not quite
25 ready for primetime, but the RMD efforts continue in this

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 area and we expect that to be ready shortly. As part of the
3 programs that we're deploying, approximately 10,000
4 residential methane detectors.

5 Independent compliance assessments. We
6 are kicking off a program this year before the rate year of
7 independent compliance assessments where we have a third
8 party come in and do assessments of our regulatory compliance
9 so that we can continue -- continually improve our
10 performance there.

11 We would assess the compliance with the
12 gas safety regulations, review our procedures and work
13 practices, and identify any gaps and develop plans to
14 remediate those.

15 And then the final piece that we're
16 talking about enhancing our gas safety programs is process
17 safety. API 1173 is the pipeline safety management system
18 standards. Okay? We are actually one of the industry
19 leaders currently in applying this. We've been doing this
20 for now about 3 or 4 years with our own internal process
21 safety risk control standards.

22 What we will be doing and we're in the
23 process of aligning with the API 1173 and continuing our work
24 in this direction, but it's very important for enhancing the
25 overall safety and reliability of the gas system.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 So I will talk now about some of our gas
3 safety metric proposals. Our performance targets, we are
4 proposing more stringent performance targets for most
5 metrics, maintaining strong performance in others; negative
6 revenue adjustments for failure to achieve targets, 70 to 80
7 basis points at risk per year; positive performance
8 incentives, the ability to earn positive incentive for leak-
9 prone pipe replacements; new positive incentives for
10 implementing gas safety initiatives; and a gas safety
11 surcharge, the surcharge mechanism to recover the incremental
12 cost of accelerating leak-prone pipe and additional leak
13 repairs which we'll talk about in a minute.

14 So first, emergency leak response. We
15 want to maintain the current statewide targets and penalties.
16 As a result of the changes in New York City's protocol for
17 reporting leaks, with all calls now directed to 911 in the
18 first instance and increased public awareness arising from
19 high profile incidents, the companies have seen significant
20 increases in the number of odor calls.

21 We are proposing a mechanism to exclude
22 certain extraordinary events which would be big non-gas odor
23 calls that drive a lot of the metrics from the emergency
24 response metric calculation in consultation with staff. And
25 you can see the total at risk, 12 basis points, no incentive,

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 looking to maintain our current performance rates.

3 Damage prevention. Our proposal is to
4 standardize the way damage and one-call tickets are counted
5 against the metric. More stringent targets and more damage
6 prevention measures. We would reduce the target by 2 percent
7 each year for the following rate year to encourage continuous
8 improvement. And achieving a designated stretch target for
9 one metric could you use to offset the penalty associated
10 with the failure to achieve the target of another damage
11 prevention metric.

12 We will continue to -- we are proposing
13 to work on reducing our leak backlog. KEDNY and KEDLI are
14 proposed to reduce their backlogs for nonhazardous leaks by
15 100 and 500 leaks, respectively, each year. While these
16 leaks don't present a safety risk, eliminating additional
17 nonhazardous leaks will enhance system performance and reduce
18 methane emissions.

19 We're also proposing a mechanism to
20 encourage further reduction of leaks above the base target of
21 100 and 500, capped at an additional 50 leaks per year. At
22 the same time, we propose these targets to reduce hazardous
23 leaks that will improve our strong performance in this area
24 and assure that nonhazardous leak targets do not divert
25 resources from repairing hazardous leaks.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. LOUGHNEY: Is 100 -- the target's 100 for
3 KEDNY and 500 for KEDLI?

4 MR. TURRINI: Yes.

5 MR. LOUGHNEY: Is there a greater risk of
6 nonhazardous leaks on the KEDLI system? Is -- I mean it just
7 seems like that's --?

8 MR. TURRINI: So they're -- they're all
9 graded to the same criteria. So once it -- once it's
10 considered a nonhazardous leak, whether it's in New York,
11 Long Island, Upstate New York, they all meet the same
12 criteria.

13 MR. LOUGHNEY: There's just that many more?
14 I mean is the KEDLI system longer or something and that's why
15 there's more KEDLI?

16 MR. TURRINI: Well, yeah, there's a lot more
17 pipe on Long Island.

18 MR. LOUGHNEY: All right.

19 MR. TURRINI: Absolutely.

20 So leak-prone pipe recovery metric, we
21 are proposing to replace a minimum -- a base minimum of 115
22 miles a year in Long Island and 50 miles a year in New York.
23 There would be a negative revenue adjustment for failure to
24 hit that level of replacements. There would be a surcharge
25 recovery for incremental miles above the base target.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 So just the example, if we were going to
3 -- we'd have 115 miles covered in rates in Long Island. If
4 we wanted to replace 20 miles more the next year to get us to
5 135 miles of pipe, we'd recover that cost through a
6 surcharge.

7 There would be an incentive for
8 additional miles above the increasing incentive threshold.
9 So set at the base target for calendar year '17, increasing
10 by 5 miles in New York and 15 miles per year. And the
11 incentive targets would be designed to drive us to get to a
12 20-year replacement program.

13 Okay. Gas safety violation metrics. We
14 want to restructure the gas safety violation metrics to
15 adjust risk, increase focus on prospective compliance
16 improvements, and provide incentives for safety compliance
17 initiatives. There would be 20 to 30 basis points for year.
18 For KEDNY, that would be between \$5 and \$8.9 million. And on
19 Long Island, it would be between 3 and -- 3.9 and 6.5
20 million.

21 We would cap the number of occurrences
22 per code section or audit at 10. For code sections with more
23 than 10 occurrences, the Company will submit a root cause
24 analysis and a detailed compliance improvement plan. Staff
25 and the Company would develop a mutually agreement --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 agreeable compliance improvement plan, and the Company would
3 incur a penalty for failure to execute compliance of -- for
4 execute the compliance improvement plan. And we would
5 provide for the ability to proactively self-report and
6 address violations outside the normal audit process. So we
7 are looking to do that.

8 Okay. The last piece on gas safety
9 would be gas safety incentives. The Company and Staff would
10 work to agree on a set of safety incentives, initiatives and
11 programs to be completed during the calendar year. The
12 Company will earn an incentive for timely completion of the
13 programs.

14 Some potential examples of these safety
15 or compliance programs could be increased public outreach and
16 education enhancements, process enhancements, or developing
17 new safety technology. Potential incentive would be 10 basis
18 points.

19 All right. With that -- yes?

20 MR. LOUGHNEY: Just assuming the Company
21 performed very well and got all of the incentives that are
22 proposed, what is the total amount of incentives that are out
23 there on this pilot?

24 NIDENTIFIED SPEAKER: In this area, I
25 think there's about 18 basis points.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 R. LOUGHNEY: 18 basis points just in
3 the safety?

4 UNIDENTIFIED SPEAKER: Sixty or seventy
5 basis points, negative revenue -- But certainly more than any
6 revenue adjustments --

7 MR. LOUGHNEY: But this is just in this
8 particular section? Is there any overall total of how many
9 incentives are on the table with the filing?

10 MS. VIAPIANO: There's only 2 --.

11 UNIDENTIFIED SPEAKER: No, those are offset.
12 You'd be offset and then you have the incentives. So there's
13 no -- the offsets just incentive only would be \$2 million.

14 MS. VIAPIANO: So it's around 10 versus
15 potentially --. Those are the only 2.

16 MR. TURRINI: So if we don't have any more
17 questions, I'm going to turn it over to Johnny Johnston.

18 Johnny?

19 MR. JOHNSTON: Thank you, Ross.

20 Good afternoon, everyone. My name's
21 Johnny Johnston. And as you can probably tell from my
22 accent, I am not a native of Brooklyn where I now live.

23 I've been running customer meter
24 services, the vice president of customer meter services for
25 the last couple of years. And as you can see by the job

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 title on the slide, I'm just in the process of transitioning
3 roles to run our Gas Enablement Project, which is mentioned
4 briefly in the case. But here today, I'm coming to talk
5 about O and M spent.

6 So the beginning, Pam talked about this
7 being a major driver in the case. Just to get people's eye
8 in, when we talk about operations and maintenance, clearly
9 it's the operations of our networks, our control centers, the
10 maintenance of our assets that are above ground. But it also
11 includes a number of things that don't always immediately
12 spring to mind.

13 So it's responding to customer requests.
14 It could be moving to a home and want your gas service turned
15 on, and that's included in our O and M. Importantly
16 responding to gas leaks or other gas emergencies is -- is
17 part of our -- our O and M costs. And Ross talked a lot
18 about our CapEx programs, but actually with all of our CapEx
19 programs that come on and explain, there's O and M costs
20 associated with that. So we'll go through that as we go
21 through.

22 And we've seen a substantial growth in
23 our -- in our O and M costs. So you can see on this graph at
24 the bottom, for KEDLI and KEDNY, the test year, what we're
25 expecting to spend in the year ahead and then into the -- the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 first year of the case, and that steady growth across. And -
3 - and that equates to for KEDNY an -- an increase from the
4 test year of 47 million, and for KEDLI an increase of 13
5 million on our test year case.

6 What's driving that? It's very much
7 aligned to what Ross was talking about. It's our focus on
8 increasing public safety, it's responding to customer needs,
9 and it's supporting the growth of our capital programs, but
10 also the growth in the towns and cities that we operate. And
11 we heard a little bit around the growth that we're seeing in
12 Downstate New York and -- and Brooklyn. And certainly as a
13 resident there -- there, I can say Brooklyn is booming. I've
14 never seen so many cranes and so much construction as is
15 going on at the moment.

16 But what you can see from that increased
17 workload, the O and M related to CapEx and safety programs
18 which Ross talked a little about is actually the breakdown
19 between New York and Long Island is -- is quite different.
20 So in the top pie chart there, for KEDNY 47 percent of our
21 incremental O and M cost is tied to increase in workload, 32
22 percent related to capital investment, and 20 percent to our
23 safety programs.

24 For KEDLI it's only 12 percent related
25 to incremental workload, 55 percent tied into O and M related

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 to capital, and 33 percent related to our safety programs.

3 Ross mentioned the increase that we're
4 seeing in leak calls coming in to us. And so this chart here
5 shows the dramatic increase that we've seen. 2016 forecast
6 to be 62 percent higher than 2014. And for anyone that's
7 used to looking at the long-run average of -- of gas leaks,
8 as a utility we're normally used to those coming down year on
9 year. So this is not a normal chart to be sharing in terms
10 of looking at the -- at leaks.

11 And there's a few drivers in -- behind
12 that. So Ross mentioned the New York Fire Department
13 protocol. This was something we worked with Con Ed and the
14 fire department following the East Harlem incident where now
15 or in the past the fire department would respond to gas leaks
16 that came into 911 and would only call us if they felt there
17 was a real need. Whereas now, on every gas related 911 call,
18 we are also rolling a truck, which is a significant increase.
19 There's over 12,000 incremental calls a year. And that's the
20 biggest driver of this increase.

21 But because of public awareness and some
22 of the incidents that happened, it's absolutely clear that
23 the residents of New York are more likely today to pick up
24 the phone when they smell gas than they were a few years ago.
25 And so we are seeing incremental public calls coming in. And

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 it's fair to say that we've had a couple of extremely brutal
3 winters that have challenged some of our aging assets that
4 have driven an increase in calls, as well.

5 You'll see in terms of the first rate
6 case year on -- on the right here, the calendar year '17,
7 rather than projecting the trend that we've seen for the last
8 few years forward, we do believe we've reached the peak. And
9 we've brought the forecast down for the first year of the
10 rate case to be lower than what we're seeing today. Time
11 will tell, but we -- we hope that we have gone through that
12 peak period and we are now starting to see the volumes to
13 come back into line or -- or are on a reducing trend.

14 Of course, once we respond to those
15 leaks, we tend to find that something needs to be repaired.
16 And so we've seen an increase in our leak repairs over the
17 similar period. So in KEDNY, leak repairs are up 26 percent
18 over the same period, KEDLI 10 percent. And with that goes
19 the surveillance work that we need to do with those leaks
20 until they are repaired. So all of those are significant
21 drivers of the incremental costs around managing leaks. And
22 Ross mentioned the reduction targets on the type-3 leaks.

23 Our instrumentation and regulation
24 assets. These are critical assets to maintain a reliable and
25 safe network that includes the pressure reduction stations

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 that take the high pressure gas from the transmission mains
3 down to safe distribution pressures. It includes the remote
4 valves that we have to control the flow of gas around our
5 networks. It includes the gas quality monitoring equipment
6 to make sure that gas is of the right specification going to
7 our customers' homes.

8 What you can see in the chart at the
9 bottom here is the significant increase in those assets over
10 the period of time from 2011 to 2017. In fact, for KEDNY
11 it's a growth of 163 percent. And KEDLI it's 550 percent.
12 That growth in those assets is really being driven by the
13 growth and demand in the new sources of gas that we're
14 bringing into both Long Island and New York City to make sure
15 that we can sustain the demand for -- for gas.

16 And with each of those assets comes the
17 maintenance to keep them operating safely and -- and to
18 maintain and protect their asset lives. And so really it's
19 just the incremental assets that's driven the incremental
20 cost here.

21 Inactive accounts, this is also known as
22 -- has been referred to, at least in National Grid's case, as
23 soft-offs. This is our approach to when customers move out.
24 Traditionally we would tend to leave the gas supply on to
25 make it easy for the new customer coming in. Following the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 Paige Street incident in Schenectady, we worked very closely
3 with the PSC and have agreed to make sure that we lock every
4 customer's account when they move out.

5 And that significantly increased our
6 workload here. A large proportion of those increases were
7 included in the test year. What wasn't included was, as we
8 were rolling out the new procedure, is the follow-on work
9 where we've been unable to gain access through our service
10 reps. And we either have to cut the service in the field or
11 go through a legal route to gain access. And so that is
12 included in our -- our rate case projections.

13 The other thing that I would mention
14 tied into this is on customer investigations on their bills.
15 So Ross mentioned the AMR project. We saw in Long Island
16 when we rolled out AMR a significant increase in calls for --
17 for bill investigations which required field visit, really
18 driven by people that haven't had an accurate bill for a long
19 period of time that had a lot of estimates.

20 And then we rolled out AMR and they were
21 now getting an accurate bill, and it was very different to
22 the bill they had been receiving, and really want to
23 understand why that was. So we've got a 10 percent increase
24 in a temporary basis for our bill investigations, and then
25 that drops off as the program comes through in 2018.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Local Law 30, this has been a -- a New
3 York City program that's been around since the '70s. In the
4 '90s, there was some modifications that required us to get to
5 a multi-occupancy buildings and put a curb valve in the
6 street by the end of 2010. And the Company successfully
7 completed that. And then for 1- and 2-family premises, we
8 had until 2020 to get that work completed.

9 In the progress that we've made since
10 2010, we've completed more than half of those curb valve
11 installations that we need to make. However, 2020 is coming
12 around quickly. And to enable us to get the remaining just
13 over 60,000 valves that now need to be put in place, we need
14 to significantly ramp up this program over the 3 rate case
15 years. In fact, it's been ramping up this year and it will
16 be ramping up again next year to make sure that we complete
17 that program in time.

18 We've heard about City-State
19 construction. We've heard particularly around the -- the
20 capital portions of that, there's also an OpEx side to this
21 where we would be, for example, shoring our pipeline assets
22 for other people's construction to make sure we protected
23 them and -- and avoided catastrophic failure or more
24 significant remediation and recovery efforts.

25 We -- I think Ross mentioned we have

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 proposed that there's a tracker for these costs because they
3 have increased so significantly, so we can marry offspend
4 with how those go up and down as time goes forward.

5 I talked about the OpEx or the O and M
6 that we have to spend with CapEx. There's direct spend. In
7 this case, every time we lay a new main the cost of moving
8 the old services or the services from the old main on to the
9 new main is an O and M cost. And with the increased mileage
10 that we're seeing both in New York City and in Long Island,
11 that's driving incremental O and M costs to do those movement
12 of the services from the old main to the new main. And it
13 just lines up with those increased lengths of pipe.

14 Also it will be no surprise to you, but
15 there's a bunch of people behind the scenes for every dollar
16 that we invest in capital. It's the systems engineers or
17 investment planners resource planning. And with each and
18 every one of those individuals, there's a degree of O and M
19 spend to cover their training, some of the traveling, on
20 boarding, administrative costs for our O and M contracts
21 which also flow through into the rate case.

22 And I think the key message here is
23 every time you spend another dollar of capital, there's
24 always a -- a few cents of O and M that come along with it.
25 And -- and often we're -- we're quick to forget those.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Ross talked a lot about gas safety, so I
3 won't repeat the -- the items that he covered. But a couple
4 of extras here. Damage prevention, we did have -- we have
5 still, despite a really strong damage prevention program, a
6 large number of people damaging our assets. In calendar year
7 '14, it was 263 damages. And so we're looking to further
8 reinforce our damage prevention program with additional
9 assesses in both Long Island and New York City. This is
10 really about trying to prevent third parties from causing a
11 catastrophic event from damaging our gas infrastructure
12 that's underground.

13 There's a number of inspections that we
14 are adding in that we didn't used to do following on from
15 incidents that we're learning from, from other utilities.

16 Our compliance analyst program has been
17 a real success for us in the CMS area that I run and -- and
18 in Bob's field ops operation. We're looking to extend that
19 out to another -- a number of other areas, damage prevention,
20 dispatch. And that's included through the case here that
21 really is helping to get us on the front for -- and ensure
22 we're keeping the public safe.

23 And finally, our quality assurance
24 program. Modest increases there in the inspectors that go
25 out and make sure that the work that we're doing is meeting

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 all the code requirements that we require.

3 So when you add that all up, this is how
4 it breaks down for the 3 rate case years. As I said at the
5 beginning, an incremental \$47 million from our test year for
6 KEDNY, \$13 million for KEDLI. And you can see how that then
7 flows through to the next 2 years.

8 So I'll finish up where I started. It
9 is a significant increase in expense, but driven by the need
10 for us to maintain or enhance public safety, support the
11 growth of our assets to support the reliability of our
12 networks instead of our customers, and of course, to support
13 the growth in the towns and communities that we serve through
14 their capital investment programs.

15 Any questions? Yes?

16 MR. RIDER: I know the Company has a plan
17 that it goes through annually for its capital expenditure
18 budget, and then -- then it takes that plan to the board of
19 directors and the board of directors approves that year's
20 plan.

21 Is there a comparable plan for O and M
22 expense? Specifically, with related to the increased capital
23 expenditure, workload, and the safety programs?

24 MR. JOHNSTON: So there's a -- the
25 process that we go through with O and M is, in some ways,

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 very similar in that we have an annual budgeting process that
3 goes through Ken Daily's (phonetic spelling), the
4 jurisdictional president, ultimately all the way through to -
5 - to create the -- the PLC's results. And we do the best
6 that we can to make sure that we coordinate the O and M
7 elements of that plan to make sure they line up with the --
8 the capital plan.

9 So if there's incremental capital, we
10 will do our best to line up the O and M costs with that. I
11 think it's fair to say that we don't always do that as well
12 as we could do, and often we find that there's a lag in the O
13 and M aspects to the capital. And we find ourselves
14 struggling to catch up or keep up with the delivery that --
15 of the capital plan. I don't know if I answered your
16 question.

17 MR. RIDER: Does the board of directors
18 approve the O and M budget?

19 MR. JOHNSTON: Yes, they do, ultimately. So
20 I guess a little bit like the capital plan, when --
21 ultimately they are -- they're -- they're -- they approve the
22 business plan for -- for the business which will include the
23 capital and the O and M aspects, yeah.

24 MR. CONWAY: So -- so Aric, there's a
25 very -- there is a very detailed OpEx plan approval process

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 that we -- that we go through every year. That includes the
3 -- you know, we develop -- we develop the OpEx plans when --
4 when we. That all gets rolled up in the U.S. level and that
5 -- that eventually gets approved by -- by the U.K., the board
6 of directors on what we're inspecting, what the -- are, and
7 the associated work that's going to be --.

8 MR. RIDER: And currently, you're almost
9 done with your FY '16 plan. And has the board of directors
10 approved the FY '17 plan yet?

11 MR. JOHNSTON: So the FY '17 plan, as I
12 understand it -- I'm just looking at Ross to check -- is
13 going through that approval process as we speak. I don't
14 think it's been finally signed off.

15 MR. CONWAY: It's going through the approval
16 process as we speak. There's an e-mail.

17 UNIDENTIFIED SPEAKER: -- currently we have
18 the whole process that we --.

19 MR. RIDER: So when do you anticipate that?
20 Sometime in March?

21 MR. JOHNSTON: It normally comes through
22 about middle of March.

23 UNIDENTIFIED SPEAKER: The question was when
24 we will get board approval?

25 UNIDENTIFIED SPEAKER: I -- I don't -- I'll

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 have to get back to you on that.

3 MR. RIDER: And in -- in your testimony, it
4 explained that you anticipate that you would hire a lot of
5 FTEs in the -- in the -- you know, the linking period up to
6 the -- to the beginning of the rate year. Is that still
7 currently your plan that you're ramping up to achieve the
8 level of work anticipated in the rate year?

9 MR. JOHNSTON: Yeah, absolutely. So we've
10 got a significant hiring plan. So -- and speaking personally
11 about CMS, I know that I've -- I've got more resources on
12 property today than I had a year ago, and also expect to have
13 more resources on property a year's time from now.

14 I think there's a much more significant
15 hiring plan in our engineering team, which is really we --
16 we've not done the hiring that we've needed to, to keep up
17 with the capital plan.

18 MR. CONWAY: So on the -- on the
19 engineering construction and resource management analogy --
20 130 people? Well, that's across the U.S. That's not just
21 for New York State. But it's significant. And then there's
22 subsequent more hiring that happens in the first year of the
23 rate year; correct.

24 MR. RIDER: What -- I guess one of the
25 things that I'd like to understand, moving forward, is what

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 your base level of employees are and how retirements -- the
3 hires you anticipate and what your net change in FTEs are? I
4 -- I guess I want to understand that if there -- how the --
5 the plans relate to the work that you're going to do, but
6 also the folks that are really experienced and retiring.

7 MR. JOHNSTON: Yes, so I think we'll
8 have to take that one away in terms of being able to -- to
9 feed that one back. I mean, it's a good -- it's a good
10 point. You look, I think, across the utility sector and
11 National Grid is certainly no different.

12 But our -- our H profile is heavily
13 skewed to people closer to retirement than I, and -- and it
14 will be a huge drain of experience from our operations, which
15 is just going to add to the challenge of having to ramp up
16 resources at a time when we have a number of experienced
17 resources retiring. It is a real challenge for us.

18 MR. RIDER: Along that vein, though, in
19 your testimony you said that you were working with other
20 entities to develop the workforce. Can you touch on that
21 topic a little bit?

22 MR. CONWAY: Maybe Bob, some of the work
23 that -- some of the local colleges and some of the other
24 places would be where we would develop that workforce.

25 UNIDENTIFIED SPEAKER: In anticipation

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 of that exact opportunity for us with the work going up, we -
3 - we've -- we've got the -- really I think some of the most
4 innovative things that you'll see out in the industry that
5 we've been putting to practice.

6 One, working with our contractors,
7 number one. Our -- we work through incremental unit price
8 contracts with them and pricing for them to add additional
9 resources on to their existing crews, for example.

10 So we worked in partnership with them
11 and said go out and hire more helpers, get them on your
12 crews. They'll be able to make the crews, you know, more
13 productive with regards to the additional laborers. And over
14 time, they're going to gain the experience, be able to take
15 the qualification exams so that we can break them up into,
16 you know, additional crews going forward. So we've been
17 doing that.

18 Our contractors, in turn, have also been
19 innovative and built training facilities on their own in
20 order to help stay ahead of, you know, the need for addition
21 -- additional resources, going forward.

22 They've been very innovative with the
23 union halls that they're associated with. And, you know,
24 we've been able to keep up with that pace and anticipate that
25 that's going to continue going forward. So that's number one

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 with our contractors.

3 In parallel, we've been working with our
4 own union leadership, and over the past couple of years have
5 -- as part of collective bargaining, have increased the
6 ability to go right to the outside and hire laborers and
7 helpers the same way that our contractors have been able to
8 get them into the Company, get them onto our crews, and begin
9 the process of starting to train them, because it does take a
10 good 3 -- 5 years before you've got a qualified mechanic.

11 In partnership, though, along the
12 outside, we're working with some of the veteran programs,
13 energy to hardhats or helmets to hardhats, energy to troops,
14 troop -- troop to energy, something -- a lot of work going on
15 with our veterans, as well as partnering with the educational
16 sector.

17 We've just created a brand new program
18 with Farmingdale State University, right on Long Island, with
19 a certificate program that they're going to offer with
20 college credits. And as they graduate, they're going to be
21 certified in partnership.

22 The training's actually going to happen
23 at our learning and development facility in Melville, right -
24 - right across the street from -- from the campus. And
25 they'll graduate from that program and we're going to hire

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 them directly.

3 We're even talking about if you come
4 work for us, you know, we'll -- we'll actually help and give
5 you a rebate towards -- towards the cost of your education.
6 So I mean, there's a litany of things like that that we've
7 been doing to stay ahead of this curve.

8 MR. RIDER: Thanks, Bob.

9 MR. LOUGHNEY: I think you -- going back
10 to page 83, you were talking about Local Law 30.

11 MR. JOHNSTON: Yes.

12 MR. LOUGHNEY: And you -- did -- when did --
13 when was that passed?

14 MR. JOHNSTON: 1974.

15 MR. LOUGHNEY: Okay. And then I think you
16 said there's 67,000 that have to be converted out of maybe --
17 I thought the number was double that, so.

18 MR. JOHNSTON: Yeah, so I think when we
19 got to about 2010 when we completed the multi-occupancy
20 properties, there was about just over 120,000 left to -- to
21 be completed. We've completed over 60,000 of those now. And
22 we've got -- I know on the slide it says 67,000. I think
23 today we're standing at about 60,000 left to complete.

24 MR. LOUGHNEY: I guess the question is how --
25 how come they're so back loaded here, or why --?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. JOHNSTON: So the strategy that we had to
3 complete this was to -- to do this work as we did other work.
4 So rather than going out and digging holes in the street
5 specifically to put a curb valve in, when we were in that
6 street doing mains replacement, when we were there on a -- on
7 a leak and we -- we had to dig a hole, we were adding those
8 valves as we went. And we've got to a point now that if we
9 carry on with that strategy, we're -- we're not going to
10 complete the program in time.

11 And so -- so that's why. It was back
12 loaded because we were trying to do the work as efficiently
13 as possible as part of our existing work plan. And we're now
14 in a place to make sure that we complete by 2020. We're
15 going to have to do incremental work outside of the existing
16 work plan to complete.

17 MR. LOUGHNEY: Okay.

18 MR. JOHNSTON: Any other questions?

19 Okay. I think I'm handing over to Pam.

20 MS. DISE: Good afternoon. My name's Pamela
21 Dise and I'm going to be presenting the overview of ECOSS,
22 revenue allocation, rate design, and bill impacts. Primarily
23 I'll be talking about differences, changes, and then the
24 results of the studies.

25 So first of all, starting with the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 embedded cost of service study, we're using the traditional
3 3-step methodology. You can see the functions on the third
4 bullet, supply and storage, transmission, distribution,
5 procurement, billing, metering, collections, and sales
6 promotion. We pretty much used the same methodologies that
7 we've used for classification allocation. There's just some
8 minor differences. And all revenues flow through the ECOSS.

9 Second bullet is special studies. Every
10 ECOSS has the minimum system study so we updated the minimum
11 system study, and you can see the results there for KEDNY.
12 Approximately 38 percent is the result for the customer-
13 related. And for KEDLI about 41.65 for customer-related. We
14 updated the typical cost for services and meters. We updated
15 the competitive function studies, and there were some other
16 accounts, specifically 903 and 880, where we had to dig a
17 little bit deeper and go into special studies to try and look
18 at the cost causations.

19 Revenue allocation. So total delivery
20 revenue increase, I believe, as Pam had talked about way this
21 morning, is approximately 30.1 percent for KEDNY. That's
22 where we've rate designed, 30.1 percent for KEDNY and 25.8
23 for KEDLI.

24 So and you'll just see in a slide that
25 I'm going to show in a -- in a minute or two that there was

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 some quite extreme impacts and a diversity between impacts by
3 customer classes.

4 We traditionally started to do the band
5 analysis where we tried to get customers to the upper or
6 lower limit of the band. It still resulted in really extreme
7 bill impacts for some classes. So we determined that we
8 should do is -- is basically go back and look at each one of
9 the classes and have specific revenue increases for
10 residential, nonresidential, and multifamily. Those are firm
11 classes. The other ones are specific rate designs which
12 we'll talk a little bit later.

13 So for KEDNY that resulted in a 31.5
14 percent for each one of those classes, residential and
15 nonresidential and multifamily. And for KEDLI it was 26.7.
16 The other classes -- and you'll see in a slide that I'm going
17 to show later. The other classes are over returning, so they
18 have a bit of a smaller increase.

19 Still holding true to some of the
20 requirements for a cost of service study, we moved each one
21 of those classes closer to parity. So closer to the system
22 average, somewhere in the neighborhood of 75 percent for
23 KEDNY and 50 percent for KEDLI. And those are all shown
24 within the embedded cost of service study in the Company's
25 filing.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 So the first slide I have here is a
3 result of the ECOSS and the revenue allocation for KEDNY.
4 And as you can see -- you can see the disparity that I talked
5 about, right. So the classes are in the first column,
6 description in the second, revenue at present rates in the
7 third column, and then you can see the return at present
8 rates in that fourth column.

9 The system average return is a 2.4
10 percent and you can see we go anywhere from a negative 5
11 percent for our residential non-heating customers, upwards of
12 30 percent for our temperature control customers. And if we
13 totally throughout doing any sort of gradualism or doing any
14 sort of banding, that next column would be the absolute
15 increase you would have to give to customers to get them to
16 the system average increase.

17 So we'd be giving residential non-
18 heating customers in the neighborhood of 65.5 percent
19 increase and reducing TCs in the neighborhood of 30 percent.

20 And as I talked about on the prior
21 slide, you can see residential, nonresidential, and the
22 multifamily. We gave them a common increase so the 31.5
23 percent. And you can see that the other classes are -- are
24 somewhat smaller increases.

25 And there is a progression towards unity

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 in the last column, which you can also see in the embedded
3 cost of service study. So they're all making progression
4 towards unity.

5 The second slide is the same for KEDLI,
6 same setup. Our overall return at present rates is a 3.83
7 percent and you can see the wide range of increases or
8 decreases -- I'm sorry -- the wide range of return at present
9 rates, anywhere from the neighborhood of negative 3 to
10 upwards of 100 percent. Again, the next column is the
11 absolute increase that we would give them if there was no use
12 of gradualism.

13 And again, the next column has the
14 residential, nonresidential, and multifamily at a common
15 class increase of the 26.7 percent, with the other classes
16 less. Again, progression towards unity.

17 So that's revenue allocation. On to
18 rate design. So I went through ECOSS, I went through revenue
19 allocation, and now rate design.

20 As I had mentioned earlier when -- when
21 Kate was presenting, we made the determination at this time
22 not to make any increases to the customer charges for
23 residential, nonresidential, and multifamily customers. I
24 say that absent what I had said earlier, except for the non-
25 heating residential customers. They have such small

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 throughput that we were getting some really strange per therm
3 amounts if we didn't put something in the customer charge.
4 So there's a small increase in the customer charge.

5 And then the other thing that we tried
6 to do was to make sure that the tail blocks for all of the
7 classes, where -- where some were close to the demand, right,
8 the -- the variable rates, so the demand rate. And you'll
9 see that when you go through the rate design pages, that most
10 of the classes are within that 35 to 39 percent for KEDNY,
11 and 35 to 42 percent for KEDLI. And that equaled, like we
12 said, out the ECOS study, the demand plus the SIR costs that
13 are being recovered within base rates.

14 Then we did rate design changes for TC
15 And I have a specific page for TC so we'll go through all of
16 the TCs. But one of the things we did with TCs is to make
17 sure that we set the -- they're only one rate -- one block.
18 So we set their volumetric rate to the tail block equal to
19 their otherwise applicable rate. So if they're an S.C. 2, we
20 set it to the tail block of 2. Or S.C. 3, we set it to the
21 tail block of three.

22 Okay. So on to monthly typical bill
23 impacts. And the numbers that I'm presenting here are the
24 numbers that you'll find in the rate design testimony and
25 exhibits. And so when you look at these bill impacts,

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 they're bill impacts of 2017 prior to rate case, to 2017
3 after a rate case. So those are presented a bit differently
4 than what Pam was talking about earlier on where she
5 presented bill impacts.

6 She was looking at the historic test
7 year to the rate year, and so the biggest piece that you
8 won't get when you look at my rate design, when I look at the
9 panel's rate design exhibits is rate year to rate year and
10 typically commodity is the same across.

11 And so historic test year, which you'll
12 find in Ken Daily's testimony and -- and also what Pam
13 presented in the revenue requirement, also presents that the
14 commodity prices have come way down since the historic test
15 year. So those would be the differences that you'll see in
16 the -- the policy testimony and the revenue requirement
17 versus the rate design. So just to make sure that that's
18 clear.

19 Typical customers are shown here. And
20 if you -- we put the typical monthly therms in here because
21 residential customers are -- across the state typically use
22 or present to typical customers using the same therm rates.
23 When you start to get up to nonresidential and multifamily,
24 there's really not a typical customer within those classes.
25 There's a wide -- for KEDNY and KEDLI, a diverse usage

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 pattern within those classes.

3 We tried to take an average which --
4 within the middle of those classes to present typical bills.
5 But I would encourage you, if you're looking at specific
6 customers or if you want to understand the impact of all
7 those classes, that you go to our RDP 4, which has all of the
8 volumes and you can see how it impacts lower usage customers
9 and higher usage customers.

10 So the way this is laid out, like I
11 said, the typical monthly therms is what I'm showing in the
12 third column, proposed total bill, and then it gives you the
13 dollar amount for increased delivery, the increase total, and
14 then the percentages.

15 And remember these are typical
16 customers, not class averages, so the -- the present -- the
17 percentages I showed you earlier are the class average.
18 They'll be different based on the volumes used by specific
19 customers.

20 MR. LOUGHNEY: So, Pam, just following
21 up on that. Comparing page 107 to 110, for let's say
22 residential heat, the -- the delivery increase was 31.5
23 percent.

24 MS. DISE: Correct.

25 MR. LOUGHNEY: But for this typical customer

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 it's 26 percent or -- yeah, residential heat?

3 MS. DISE: So we're on KEDNY --

4 MR. LOUGHNEY: Yes.

5 MS. DISE: -- residential heating customer.

6 MR. LOUGHNEY: Right.

7 MS. DISE: The delivery increase, just the
8 delivery component of what we're doing base rates on. So
9 it's customer charge and it's therms --

10 MR. LOUGHNEY: Correct.

11 MS. DISE: -- will increase by 31.5 percent.

12 So then if you go to the typical bills for KEDNY, we were
13 residential heat -- is that what we're on?

14 MR. LOUGHNEY: Yeah.

15 MS. DISE: Residential heat. So they have a
16 delivery increase of 26 percent. So there's also surcharges
17 in there; right? So you have to take into account SIR
18 surcharge I think is a big one.

19 MR. LOUGHNEY: Oh, the surcharges are
20 included in -- on the --.

21 MS. DISE: The surcharges would be in total
22 monthly bills. The other ones I was showing you were the
23 delivery impacts that we do rate design on. And so what
24 we're doing rate design on is basically the -- what we put
25 into the customer charge and the per therm delivery charge.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Total bill impacts, if you go to RDP 4, has all of the
3 components on the bottom.

4 So you'll see the customer charge,
5 you'll see the per therm, and then you'll see any surcharges
6 that roll to delivery. And then you'll see any surcharge --
7 I shouldn't say -- any volumetric charges that roll to
8 commodities. So the MFC would be broken out separately also.

9 MR. LOUGHNEY: Okay. So I can't look at
10 these 2 pages and say that this typical customer is getting
11 less than the system average because it's a lower usage
12 customer?

13 MS. DISE: You -- the -- if you're talking
14 about system average increases, you should be looking at 107;
15 right? So the system average that we gave --

16 MR. LOUGHNEY: Right.

17 MS. DISE: -- the entire -- the entire -- or
18 the entire KEDNY had a system average increase of 30.1.

19 MR. LOUGHNEY: You can't compare the two
20 pages. Okay. Okay. I'll look at the RD whatever it was.

21 MS. DISE: It's -- the last page of the
22 presentation shows the schedules where you can find
23 everything.

24 MR. LOUGHNEY: Okay.

25 MS. DISE: Thanks, Pam.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. RIDER: Hey, Pam. Just -- just one
3 clarification? These bill impacts do not include the gas
4 safety surcharge or any changes to the SIR surcharge? I
5 mean, new -- new dollars flowing into the SIR surcharge?

6 MS. DISE: Right. The only piece that's in
7 here is the one-tenth of the balance of the amortization for
8 the surcharge. All of the other ones, and I have a slide on
9 -- on the surcharges. All the other ones are reconciliations
10 on a going-forward basis so they equal zero in these bill
11 impacts.

12 MR. RIDER: So your safety charge -- you're
13 not forecasting what the revenue requirement impact is in the
14 rate year and starting the surcharge? You're going to wait
15 until those dollars come in and then you surcharge it in the
16 following year?

17 MS. DISE: Correct. Because the -- the
18 forecast is a forecast. So anything over and above the
19 forecast is going to flow through that surcharge. So
20 anything over and above the forecast right now is zero.

21 MR. RIDER: Same thing with the SIR
22 expenditures?

23 MS. DISE: Yes.

24 MR. RIDER: Thank you.

25 MS. DISE: And so -- and -- and, Greg, I

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 should have answered you earlier when I was up here, but I --
3 I didn't think quick enough on -- on my feet about whether
4 the increase in the 5 percent or low-income customers absorbs
5 the impact that they would see. And you can see from this
6 slide, it does not.

7 They have a total bill increase that's a
8 bit less for KEDNY than their -- you know, the residential
9 non-heat customer is because it's -- well, first of all,
10 starting with a smaller bill, they get a smaller increase and
11 the percentage is a bit smaller. But it doesn't totally
12 absorb it. That's -- these are KEDLI's and you'll -- you'll
13 find these in the exhibits. That's KEDNY's. Sorry. And
14 this is KEDLI. And the same is true here, also.

15 Low-income discounts. Everyone okay
16 with bill impacts for now? Okay.

17 Moving on to low-income discounts, this
18 is just, you know, reiterating what Kate had said. We
19 increase it by 5 percent. For all low-income customers, the
20 customer charge was reduced by another 5 percent. And then
21 in the low-income for heating customers, the block next to
22 the last block, we also reduced by 5 percent during the
23 winter months.

24 Those are collected -- those low-income
25 discounts are collected from all firm customers. And you can

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 see the rates that are applied to the therms outside of the
3 customer charge. So the actual discounts given and the
4 actual revenue collected from customers for the low-income
5 discounts will be trued up for the end of the year and
6 deferred for a future refund or recovery.

7 Next one is changes to the merchant
8 function charge. So the -- the primary change, and we're
9 trying to align this with what is -- what we have at Niagara
10 Mohawk Upstate. For the first 2 components, what we had done
11 prior in KEDNY and KEDLI is to use the gas forecast and apply
12 the uncollectible rate and the working capital rate to a
13 forecast, and then for the end of the year, true up the
14 actual commodity expense to the rate and flow it through the
15 next year.

16 And what we do at Niagara Mohawk and
17 we're proposing to do at KEDNY and KEDLI is to actually use
18 the gas cost for the next month. We have the rate and we're
19 going to apply it to the gas cost the next month. So it --
20 it does away with any of the reconciliation at year end.

21 The third bullet is we're modifying the
22 return requirement on gas storage. And that's to take into
23 account the Company's retail access program.

24 And the fourth bullet is TCs and ITs
25 will now get a merchant function charge. And I'll talk about

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 that when I get to the TC slide because we're moving them
3 more to a cost of service study -- or cost of service rate.
4 And so they should pick up a piece of the MFC.

5 And this is just a chart to kind of --.

6 MR. DOWLING: I got a question.

7 MS. DISE: Yes?

8 MR. DOWLING: Over here.

9 MS. DISE: I'm sorry.

10 MR. DOWLING: What -- what's the purpose of
11 including transportation customers in the market for function
12 charge?

13 MS. DISE: Okay. Kelly? I know, a
14 superficial -- function charge, Kelly Smith, who works for
15 me, did all the detailed work, so I'm going to have her jump
16 in.

17 MS. SMITH: I don't -- so transportation
18 customers are still -- where they still have to pay the
19 credit collections component and the uncollectible component.
20 So we -- when we developed the credit and collections per
21 term charge and the uncollectible, we would basically charge
22 the ESCOs for that component for any customers they have that
23 are transportation customers.

24 In addition, we also charge customers --
25 transportation customers for any of the return on the supply

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 storage. And that goes to the TAC.

3 MS. DISE: And this is a chart to put into --
4 keep them straight, mostly for my purpose. The LAUF. The
5 LAUF, we're updating so KEDNY -- KEDNY currently does follow
6 the LAUF so we're really just updating the rates. We're
7 going to the last 5 gas years and updating the LAUF target.
8 You can see the current target is 1.53. The new target will
9 be 2.27. 2 standard deviations around that gives you the
10 upper band and lower band. So this is just really an update
11 to the current LAUF target.

12 KEDLI currently isn't following the
13 White Paper. I'm required at the next rate case to implement
14 the White Paper. So their current target is a negotiated
15 target. So we're implementing the 5 years of gas costs. A
16 new target is 1.476. And you can see the standard deviation
17 and the upper and lower band which we'll start sharing
18 customers.

19 MR. RIDER: Hey Pam, that -- that lower dead
20 band on KEDLI should be zero.

21 MS. DISE: Oh, yes. Thank you, Aric.

22 Okay. Revenue to coupling. So KEDNY
23 and KEDLI both have revenue to coupling for the residential
24 heating customers, and the target is revenue per customer.
25 We've updated that to reflect the new rates, the proposed

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 rates.

3 In addition, we're proposing to expand
4 the revenue to coupling to nonresidential and multifamily.
5 As I mentioned earlier when we were going through the bill
6 impacts, there are no really typical customers within those
7 service classes. So we didn't think that it was appropriate
8 to come up with a revenue per customer as a target. So we're
9 asking for a revenue per class. And in addition to that any
10 incremental customers over and above the growth in the
11 forecast, we're asking that the Company be allowed to
12 maintain the marginal costs associated with those customers.

13 Electric generator revenue. Currently
14 electric generator revenue flows through the -- the GAC.
15 We're proposing that it's -- it's in base rates and goes to
16 all customers, firm and sales customers. Sorry. So it goes
17 through base rates and then we have a reconciliation that
18 will true up each year and those variances will flow through
19 the DRA.

20 Okay. Temperature control customers.
21 We recognize that we needed to change the rate design for the
22 temperature control customers. In addition to that, just
23 changing the rate design on how we propose it in this rate
24 case, we didn't feel was going far enough. We want to be
25 able to hold a collaborative once we get an order in this

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 proposing to combine the GACs on a -- a forecast and a
3 reconciliation perspective. And I'm going to speak about
4 this, and if it gets down into the details, Liz Arangio
5 (phonetic spelling) is the expert, so -- and unfortunately
6 she's not here today. But basically, as I -- as I understand
7 it, the operations and the procurement, going forward, is
8 very similar to KEDNY and KEDLI. We had a lot of
9 grandfathered contracts which are really rolling off.

10 Currently the customers pay the same
11 commodity costs, so we're just asking to be able to put the
12 fixed costs also on a common -- on a common basis. So we'll
13 continue to file separate GACs because there are some costs
14 that -- that flow through differently for those 2 entities.
15 I'm going to modify the monthly cost of gas calculation to
16 implement a common per therm gas fixed cost and on the fixed
17 cost credit.

18 And so this has a small impact by doing
19 the switch. It impacts KEDNY by less than 1 percent in
20 downward bill impact and KEDLI .6 percent in total bill
21 impact in that first year when we make the switch just based
22 on forecast basis.

23 MR. LOUGHNEY: I'm sorry to take you back
24 one, but to 118, what is the fundamental problem with the TC
25 customer class and the fact that you're eliminating it? What

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 -- what -- what's driving that?

3 MS. DISE: And -- and I'll have Dawn jump in
4 if I don't explain it fully. But the 1.23 imputation, as
5 well as trying to price them at market, caught them paying
6 sometimes equal to firm or in some instances more than firm.
7 And it's not a firm service.

8 So we needed to step back and recognize
9 that those customers don't get firm, look at the cost that
10 roll out of the embedded cost of service study and charge
11 them more from a cost of service perspective.

12 MR. LOUGHNEY: Why not just fix it so that
13 they're paying less than firm? Like just adjust the rate
14 design and -- and continue with the --.

15 MS. DISE: They are paying less than firm
16 now.

17 MR. LOUGHNEY: Okay.

18 MS. DISE: They're paying less than firm.
19 Their customer charge goes up a bit. Their demand cost goes
20 way down. They're paying much less than firm. Firm is
21 somewhere over a dollar for the demand charge. They're
22 paying 34 cents, and they're just paying the -- the -- the
23 tail block, which is the smallest block. So they are paying
24 less than firm now.

25 MR. LOUGHNEY: And that's also --

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. DISE: Under this new rate design.

3 MR. LOUGHNEY: -- that's also affecting the
4 IT rates?

5 MS. DISE: Correct. They're modeled the
6 same.

7 MR. LOUGHNEY: So they're -- they're --
8 they're being reduced, too, because they were kind of being
9 priced off of also?

10 MS. DISE: Same. Yes.

11 MR. LOUGHNEY: Okay.

12 MS. DISE: So we've tied it right back to
13 their otherwise applicable rate.

14 MR. LOUGHNEY: And what's the implication of
15 the removal of the \$102 million imputation?

16 MS. DISE: So -- so Dawn, can you -- can you
17 talk to the 102 million because it's -- it's a Legacy thing
18 and -- and I don't want to mess it up.

19 MS. HERRITY: The \$102.3 million imputation
20 was a result of a settlement case that we had for KEDNY that
21 increased the revenue imputation for the TCs. So it was
22 originally -- GAC in the old case was like say \$85 million,
23 and it ramped up each year thereafter. And then with the
24 settlement, it ramped up again to 102.3 million.

25 In the rate design for the proposed case

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 this time, we're saying don't treat it where you got to hit
3 some kind of cap or what's embedded. We'll just say design
4 the rates and make it less than firm. And then say, okay, X
5 amount is now in your base rates, embedded in your rates.
6 And that's -- it's just the difference -- that treating it
7 differently, the revenue imputation.

8 MR. LOUGHNEY: So when you priced out the
9 different service class -- classifications, the TC and IT
10 classes are priced out and it's somewhere less than 102
11 million, I assume?

12 MS. HERRITY: Absolutely, yes.

13 MR. LOUGHNEY: And that's just then being
14 rolled into the overall revenue requirement?

15 MS. HERRITY: Yes.

16 MR. LOUGHNEY: Okay. All right.

17 MR. DOWLING: Just one more thing to clarify
18 that. This -- this \$100 million that's been counted against
19 firm rates in the past, if -- if I'm working this through
20 right, that's equivalent to adding another \$100 million to
21 the -- \$102 million to the rate increase request on the first
22 page. Is that correct?

23 MR. LOUGHNEY: It would be 102 minus the --
24 what you're recovering from the projected revenues; right?

25 MS. DISE: Correct. Yeah. It's not the

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 whole 102 that we're asking for, right. It's -- it's -- the
3 102 is what we tried up to before. Now we're just flowing
4 through the forecast of the revenue of the electric
5 generators, which I think is in the \$60 and \$80 million
6 range.

7 And as I mentioned, we want to initiate
8 a collaborative upon order of this -- this case in order to
9 start looking at all non-firm customers to try and determine
10 whether temperature control is appropriate or inappropriate
11 or whether there's some sort of demand response type of rate
12 that we can charge. And we want to bring all the parties in,
13 the TCs, the ITs, Staff, and anybody -- interested parties.

14 Combine KEDNY and KEDLI, I went through.

15 And then some miscellaneous tariff
16 changes. I have KEDNY and KEDLI separated. There -- there's
17 some nuances between each one. And we talked about the gas
18 safety and reliability and -- and Aric just mentioned that,
19 too. So -- and I -- I think Ross touched on it, too. So
20 it's recovery of costs associated with incremental
21 replacement of the LPP, the leak-prone pipe, above levels
22 funded in base rates. And also the cost to repair system
23 leaks in excess of Company leaks.

24 It's going to be a per therm recovery,
25 and it will be recovered from all firm, sales, and

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 transportations. And you'll see that through the DRA.

3 The New York Facility System surcharge,
4 so the New York Facility System is a high pressure
5 transmission system that spans both KEDNY and KEDLI, as well
6 as Con Ed. So there's sharing of cost and expenses and
7 revenues. And we're asking that this also is flowed through,
8 whether it be a cost or a revenue through a surcharge. And
9 will also be included in the DRA.

10 And then the SIR recovery surcharge,
11 which Aric had just asked about -- asked about, that
12 beginning in 2017 will be collecting one-tenth of the balance
13 of the 1231 deferrals. And then beginning in 2018, we'll
14 also be collecting the difference of actuals. And that --
15 that's allowed in rate, as well as any incremental costs
16 including Gowanus and Newtown Creek.

17 MR. LOUGHNEY: Question about that. So -- so
18 going forward, there -- there's going to be a surcharge and
19 it's going to be collecting the difference with a cap on it;
20 right?

21 MS. DISE: Yes.

22 MR. LOUGHNEY: There's a cap on it, but the
23 cap -- does the cap apply to the Gowanus and Newtown Creek
24 SIR costs?

25 MS. DISE: James is saying yes.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MR. LOUGHNEY: Okay. And the cap is --.

3 MS. DISE: I'm not testifying to that.

4 MR. LOUGHNEY: Okay. But so the -- I guess
5 the thing -- there -- there's some really big numbers
6 associated with Gowanus and Newtown that's -- that's going to
7 probably keep that number at the cap each year and maybe even
8 causing more to be deferred each year. Is that fair to say?

9 MS. DISE: I -- I don't think I'm the best
10 person to ask, because I know that they're in the -- you
11 know, the initial stages of trying to figure out costs and
12 responsibilities. So I have not seen any dollars associated
13 with either one of these.

14 MR. LOUGHNEY: Yeah, no. I understand. But
15 I mean I did see some numbers for Gowanus of 65 million, 58
16 million, and 87 million. If those numbers hit when you add
17 that into the surcharge you're going to be up against that
18 cap every year and probably deferring additional costs;
19 right?

20 UNIDENTIFIED SPEAKER: On the total revenues,
21 30-some million dollars.

22 MR. LOUGHNEY: Yeah. Okay.

23 UNIDENTIFIED SPEAKER: But we're projecting
24 100 percent of the cost.

25 MS. DISE: Sorry. I didn't see you back

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 there, Chuck. I would have deferred right to you.

3 Okay?

4 Electric generator revenue. This is --
5 we already talked about this. Electric generator revenue
6 used to flow through the GAC and it's now going to be
7 recovered in base rates with a reconciliation going through
8 the DRA.

9 We're also going to implement the
10 Newtown Creek Project credit mechanism. So for KEDNY
11 customers, they're going to get a credit through the DRA of
12 any of the gas charges that are paid by KEDNY and KEDLI sales
13 customers from the Newtown Creek Project, as well as any
14 credits we get going forward for the emissions or third party
15 sale.

16 We also updated a few other costs based
17 on current cost structures -- sorry -- we implemented the
18 paperless billing credit at KEDNY which will be a credit of
19 49 cents per bill if a customer no longer gets a paper bill.
20 We updated the consolidated billing charge and then we
21 updated some tariff fees for unproductive -- unproductive
22 field visits and reconnection fees, all based on the current
23 costs.

24 KEDLI, so you'll see some similarities
25 but some differences. Again, the gas safety and reliability

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 is the same as KEDNY. New York Facility System surcharges is
3 also the same. SIR recovery obviously doesn't have the
4 Gowanus and Newtown Creek, but is the same as -- as KEDNY.

5 Electric generator revenue is the same,
6 also. The forecast of that is now in base rates.

7 Implementing the paperless billing credit, which is 35 cents
8 for KEDLI. Consolidated billing charge of \$1.76.

9 We're also asking for -- or proposing
10 that there's a contribution aid of construction for system
11 reinforcements for customers greater than a capability of 5
12 dekatherms to help us recover the cost of the system
13 reinforcements from those causing the reinforcement.

14 We updated tariff fees for
15 reestablishment charge and nonresidential collections.

16 And then the last page just shows you
17 all of the different exhibits we have and where you can find
18 the information that we've presented.

19 MR. RIDER: I got a couple questions for
20 you, Pam.

21 MS. DISE: Okay.

22 MR. RIDER: The first one is my
23 understanding of the -- the proposed SIR recovery surcharge
24 has an annual cap of 2.5 percent. And -- and do the other
25 surcharges have such a cap?

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 MS. DISE: No. I don't believe there's a
3 proposal for any of the other surcharges for a cap.

4 MR. RIDER: So it's just the SIR?

5 MS. DISE: Most of them are reconciliations.
6 I mean, it can go back, but I don't -- they're not to the
7 magnitude of SIR; right? Most of them are just truing up to
8 what a forecast is -- yeah, gas safety reliability.

9 MR. RIDER: Well, as I understood it,
10 the gas safety reliability charge wasn't going to be a
11 forecast. It was going to be looking back, so I just want to
12 understand. So there --.

13 MS. DISE: There's no other cap.

14 MR. RIDER: No other cap.

15 Okay. On the -- the tariff change for
16 KEDLI, the contribution aid construction, how does that line
17 up with KEDNY's tariff?

18 MS. DISE: So KEDNY and Niagara Mohawk both
19 have them -- the threshold is different. Right, Dawn? It's
20 --.

21 MS. HERRITY: 2.5.

22 MS. DISE: 2.5.

23 MR. RIDER: KEDNY is 2.5?

24 MS. HERRITY: Yes.

25 MR. RIDER: And then you're going to propose

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 KEDLI to be 5?

3 MS. DISE: Correct.

4 MS. HERRITY: That's correct.

5 MR. RIDER: Why the difference?

6 MS. DISE: Working with the engineers and the
7 customer folks and looking at the cost, it seemed to take a
8 big jump when they got to the 5 versus the 2.5. So they
9 recommended it being 5.

10 MR. RIDER: Okay. Thank you.

11 MS. DISE: Okay. Anybody else?

12 Okay. Turn it back over to Pam; right?

13 MS. VIAPIANO: -- today, I did want to just
14 pause and hopefully this is -- and you've gotten some
15 transparency to many of the questions that you had after
16 initially reviewing our filing.

17 That being said, I would like to offer,
18 to the extent that Staff or others are interested in having a
19 conversation or getting further transparency, please reach
20 out to us. We'll be happy to try to set a conference call up
21 or have further discussions.

22 We have the discovery process, as well.
23 Sometimes that is not as quick as a turnaround as one would
24 hope. But with that, before we wrap up, just want to pause.

25 Is there any questions around topics

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference
2 that we didn't generally touch base on? We have a number of
3 folks in the room that could try to answer or at least take
4 it back.

5 I see one question?

6 MS. TILLMAN: It's not a question. It's
7 a suggestion. -- I was going to suggest that -- I know it'd
8 be difficult and maybe expensive, but I think some of the
9 attention should be devoted to --. They're usually ignored
10 all the way around. They're really very critical for this
11 kind of thing and I think some things --.

12 MS. VIAPIANO: So I'm not sure if
13 everyone heard, but I think the suggestion was about
14 education and outreach that is more targeted to the building
15 owners or -- or managers. So we can certainly take that
16 back.

17 Anything else? Otherwise, I just want
18 to thank --.

19 MS. VIAPIANO: The presentation,
20 actually.

21 UNIDENTIFIED SPEAKER: Thank you.

22 MS. VIAPIANO: Anything else?

23 Aric, I think we did get an answer.
24 Dave worked real quick. I think it's March 30th, we'll get
25 our -- the -- the approval on the budgets from the board.

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 Thank you. Thanks to everyone for your
3 support today. I look forward to working with you. Take
4 care.

5 A.L.J. VAN ORT: Thank you.

6 If anybody's on the phone, we're
7 concluding the technical conference at this time and we're
8 going to close out the phone recording.

9 Thank you.

10 (The conference concluded at 2:09 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 16-G-0058, 16-G-0059 - February 29, 2016 - Technical Conference

2 STATE OF NEW YORK

3 I, HOWARD HUBBARD, do hereby certify that the foregoing was
4 reported by me, in the cause, at the time and place, as
5 stated in the caption hereto, at Page 1 hereof; that the
6 foregoing typewritten transcription consisting of pages 1
7 through 138, is a true record of all proceedings had at the
8 hearing.

9 IN WITNESS WHEREOF, I have hereunto subscribed
10 my name, this the 7th day of March, 2016.

11

12

13 Howard Hubbard, Reporter

14

15

16

17

18

19

20

21

22

23

24

25