

STATE OF NEW YORK DEPARTMENT OF PUBLIC SERVICE  
THREE EMPIRE STATE PLAZA, ALBANY, NY 12223-1350  
[www.dps.ny.gov](http://www.dps.ny.gov)

PUBLIC SERVICE COMMISSION

GARRY A. BROWN

*Chairman*

PATRICIA L. ACAMPORA

GREGG C. SAYRE

DIANE X. BURMAN

AUDREY ZIBELMAN

*Commissioners*



PETER McGOWAN

*General Counsel*

JEFFREY C. COHEN

*Acting Secretary*

August 7, 2013

Re: Cases 13-E-0030, 13-G-0031 & 13-S-0032  
Con Edison Evidentiary Hearings – Beginning July 22, 2013

**\*\* Please note this is a Preliminary transcript, subject to later edits when reviewed by the  
Administrative Law Judges assigned to the cases.**

STATE OF NEW YORK  
DEPARTMENT OF PUBLIC SERVICES

---

CASE 13-E-0030 - Proceeding on Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Electric Service.

CASE 13-G-0031 - Proceeding on Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Gas Service.

CASE 13-S-0032 - Proceeding on Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Steam Service.

---

Wednesday, July 24, 2013  
9:30 a.m.

90 Church Street  
4th Floor Board Room  
New York, New York

ADMINISTRATIVE LAW JUDGES:

Paul Agresta  
Julia Smead Bielawski

# INDEX

## W I T N E S S E S

| <u>WITNESS</u> | <u>DIRECT</u> | <u>CROSS</u> | <u>RE<br/>DIRECT</u> | <u>RE<br/>CROSS</u> | <u>V.<br/>D.</u> | <u>J</u> |
|----------------|---------------|--------------|----------------------|---------------------|------------------|----------|
| L. Randt       |               | 448          | 462                  | 465                 |                  |          |
| S. Seshadri    |               | 448          | 462                  | 465                 |                  |          |
| I. Kimball     |               | 468          |                      |                     |                  |          |
| P. Carnavos    |               | 483          | 495                  |                     |                  |          |
| J. Catuogno    | 497           | 497          | 511                  | 512                 |                  |          |
| C. Ho          | 497           | 497          | 511                  | 512                 |                  |          |
| J. DeBreeves   | 515           | 515          |                      |                     |                  |          |
| Mr. Gorman     | 526           | 526          | 540                  |                     |                  |          |
| Mr. Riebel     | 542           | 542          |                      |                     |                  |          |
| M. Chan        | 542           | 542          |                      |                     |                  |          |
| F. Radigan     |               | 594          |                      |                     |                  |          |

## E X H I B I T S

| <u>IDENTIFICATION</u> | <u>DESCRIPTION</u>                                                                 | <u>I.D.</u> | <u>IN EV.</u> |
|-----------------------|------------------------------------------------------------------------------------|-------------|---------------|
| 794                   | Response to DPS755                                                                 | 413         |               |
| 796                   | Steam Panel Response to SO 139                                                     | 425         |               |
| 797                   | Response to Company Question 67                                                    | 460         |               |
| 798                   | Supplemental Response, 7/8/13,<br>1 Page                                           | 460         |               |
| 799                   | Witness Affidavit of James Fine                                                    | 466         |               |
| 800                   | Discovery Responses from<br>Fred Barney, 6 Pages                                   | 467         |               |
| 801                   | Interrogatory Request by NYECC<br>and Response                                     | 481         |               |
| 802                   | Response to Question S-009                                                         | 504         |               |
| 803                   | New York Times Article, 2 Pages                                                    | 518         |               |
| 804                   | Gas Tariff Leak                                                                    | 539         |               |
| 805                   | Staff Response to Astoria<br>Generating Interrogatory Agency 2,<br>1 Page          | 545         |               |
| 806                   | Copy of a response to the<br>Con Edison interrogatories                            | 574         |               |
| 807                   | Balancing Services and Charges<br>for CNG Bypass and Power Generation<br>Customers | 596         |               |

1 ALJ PAUL AGRESTA: Okay, we're going to go  
2 on the record. Good morning, everyone. Before we  
3 begin, are there any preliminary matters anyone wants  
4 to raise at this time? Okay, I'm not seeing any. I  
5 want to remind the witnesses that are on deck that  
6 you're supposed to bring a little name placard, like  
7 these witnesses have, up with you when you take the  
8 stand. So if you don't have one, if you could start  
9 preparing one in the off time. In addition, I want  
10 everybody to remember that the first time you speak to  
11 please say your name into the microphone for the  
12 record. And also witnesses, we've had trouble with  
13 hearing the witnesses. If you could make sure that  
14 you're talking directly into the microphones, okay?  
15 All right. Con Edison, you can call the first  
16 witness, please.

17 MS. MARY KRAYESKE: The company calls the  
18 electric witness - -.

19 ALJ JULIA SMEAD BIELAWSKI: Can you please  
20 stand for me. Raise your right hand. Do you swear or  
21 affirm that the testimony you are about to give will  
22 be the truth, the whole truth and nothing but the  
23 truth?

24 MALE VOICE: I do.

25 ALJ BIELAWSKI: And do you adopt the

1 prefiled testimony as your sworn testimony in these  
2 proceedings?

3 MALE VOICE 1: We do.

4 ALJ BIELAWSKI: Thank you.

5 MS. KRAYESKE: Does the Panel have any  
6 corrections to either its initial or its rebuttal  
7 testimony?

8 MS. MARGARET LENZ: Yes, we have one  
9 correction in the initial testimony on page 35, line  
10 5. The date, October 1st, 2013 should be changed to  
11 January 1st, 2014.

12 MS. KRAYESKE: Do you have any other  
13 corrections?

14 MS. LENZ: No, that's all.

15 MR. KRAYESKE: The panel is available for  
16 cross.

17 ALJ AGRESTA: Okay. - - is the first on my  
18 schedule.

19 MR. GARY LEVENSON: That's fine Your Honor.

20 ALJ AGRESTA: Please proceed.

21 MR. LEVENSON: How do you panel? My name is  
22 Gary Levenson, Counsel with the New York Power  
23 Authority. How are you this morning? I just want to  
24 ask you a few questions about your direct testimony  
25 starting on page 36 and on 37 where you discussed the

1 Revenue Decoupling Mechanism (RDM) in the Recharge New  
2 York Program. Now starting on the bottom of page 36  
3 you describe how your proposal to include Recharge New  
4 York delivery revenues and the RDM mechanism, correct?

5 MS. LENZ: Correct.

6 MR. LEVENSON: Now you called, just for  
7 clarity, you called these below the allocation  
8 revenues associated with the RNY allocation, correct?

9 MR. PATRICK HOURHAN: - - correct.

10 MR. LEVENSON: And—

11 ALJ AGRESTA: [interposing] you're going to  
12 have to speak into the microphone if you're going to  
13 talk.

14 MR. HOURHAN: That's - - is correct.

15 MR. LEVENSON: And above the allocation  
16 revenues is essentially the revenues associated with  
17 non-RNY power that are already included in the RDM  
18 mechanism, correct?

19 MR. HOURHAN: Correct.

20 MR. LEVENSON: So if adopted, your proposal  
21 would result in RDM surcharges or credits assigned to  
22 the RNY portion of the allocations.

23 MS. LENZ: When you say surcharges, are you  
24 referring to the RDM over on collections? I mean, it  
25 could be refunds also, it's not a surcharge.

1 MR. LEVENSON: I said surcharges or  
2 credits, yes.

3 MS. LENZ: Yes.

4 MR. LEVENSON: Now one of the reasons you  
5 raised for this proposed change, and you discussed  
6 this on lines 11 to 13, is that you said the company  
7 has no control over who gets RNY service, right?

8 MR. HOURHAN: Right.

9 ALJ AGRESTA: Again, you're going to—the  
10 way the transcript works is that we have a recording  
11 being made and then a computer is going to try to  
12 read that recording and convert it into text. If you  
13 don't speak into the microphone, your testimony is  
14 not going to be in the record. So even though it may  
15 take an extra minute to move the microphone over, I  
16 need you to speak into the microphone and you should  
17 be able to hear your voice resonating in the room.  
18 If you can't, then you're not talking loud enough.  
19 So talk louder. Don't be afraid to yell.

20 MR. LEVENSON: Okay, so just carry on. You  
21 also mentioned the company is informed by NYPA of the  
22 names of the customers who are allocated the RNY  
23 power and the amount, correct?

24 MR. HOURHAN: Correct.

25 MR. LEVENSON: Okay. Has there—you don't

1           testify that you have concerns about the timeliness  
2           of receiving that information, do you?

3                     MR. HOURHAN:  No.

4                     MR. LEVENSON:  And NYPA also informs you in  
5           a timely manner of how and why enrollments that are  
6           terminated, isn't that correct?

7                     MR. HOURHAN:  Correct.

8                     MR. LEVENSON:  Okay.  So there is no  
9           technical difficulty in not applying the RDM to the  
10          RNY portion of the deliveries, right?

11                    MS. LENZ:  I mean, technically we can do  
12          it.  That's not the problem.  That's not what we're  
13          arguing.  We're arguing that it doesn't really make  
14          sense because we don't have control over it, and the  
15          reason for excluding these types of customers is to  
16          give the company an incentive to grow these  
17          customers.  And we really don't have any say in who  
18          signs up for these programs.

19                    MR. LEVENSON:  Okay.  So including the RNY  
20          delivery revenues in the RDM, does it make the  
21          company's administration of the RDM mechanism easier?

22                    MS. LENZ:  It would make it easier.

23                    MR. LEVENSON:  And your testimony is not  
24          directed towards the Commission's—you wouldn't  
25          consider the Commission's policies on economic



1 development policies with respect to RNY when you  
2 made your recommendation, correct?

3 MS. LENZ: Can you repeat the question?

4 MR. LEVENSON: When you made your proposal,  
5 you weren't considering the Commission's policies on  
6 economic development with respect to RNY, correct?

7 MS. LENZ: I mean, we're familiar with  
8 their policies; is that your question?

9 MR. LEVENSON: I guess what I'm asking is  
10 were you trying to respond to that policy or take  
11 that policy into account when you formed your  
12 proposal?

13 MS. LENZ: Well, I mean, we considered the  
14 policy, we're aware of it, but we are recommending  
15 something that differs from the policy. I mean...

16 MR. LEVENSON: Thank you panel. Your Honor,  
17 I think I'm concluded.

18 ALJ AGRESTA: Thank you. Environmental  
19 Defense Fund.

20 MR. JAMES TRIPP: Yes. Just one moment.  
21 Good morning. My name is James Tripp. I'm counsel  
22 for the Environmental Defense Fund. Just a few  
23 questions. When you do forecasting for delivery  
24 buying, you assume some price for power the customers  
25 are going to pay for it, or is that irrelevant to

1 your forecast?

2 MR. HUCK NG: Yes, we do account for price  
3 changes in estimating the equation that explains to  
4 just in sales level.

5 MR. TRIPP: So in general does that mean if  
6 the price goes up, the buying may be down? Is there  
7 some relationship between price and volume?

8 MR. NG: Yes. The relation is negative.

9 MR. TRIPP: What do you mean by that?

10 MR. NG: So when the price goes up, the  
11 demand for electricity goes down.

12 MR. TRIPP: And do you also do forecasts  
13 for peak power as well as delivery volume?

14 MR. HOURHAN: No, we don't do the power  
15 portion of the forecast.

16 MR. TRIPP: Who does that?

17 MS. LENZ: That's another department.

18 MR. TRIPP: In doing your delivery buying  
19 forecasts, do you take distributive generation demand  
20 response, demand management kinds of programs into  
21 account?

22 MR. HOURHAN: The electric buying forecast  
23 we take in distributive generation, any anticipated  
24 new distributive generation coming on that's taken  
25 out of our forecast, and the part that's left that

1           they may still need, if they're not putting the  
2           generated large enough to supply their entire load,  
3           we'll keep that portion under our standby service.  
4           But for, like peak hour, be something like when it  
5           got really hot like last week, and - - and we kind of  
6           had customers—and may have customers that will lower  
7           their load. That is not included in our sales  
8           forecast because we're forecasting to normal weather  
9           and the peak is at a designed temperature that has  
10          nothing to do with our abnormal weather.

11                       MR. TRIPP: And how do you determine, how  
12           do you determine what the sort of total volume for  
13           distributive generation might be? Is that given to  
14           you or is that something you calculate?

15                       MR. HOURHAN: We'll get from another  
16           department, distribution engineering, the size of the  
17           customer, what kind of plant they're putting in and  
18           then we'll take a look at the energy associated with  
19           their current demand, and if the customer is using 10  
20           megawatts and they tell us they're going to put in an  
21           8 megawatt plant, we'll say okay, basically the  
22           customer will still have 2 megawatts of power that  
23           will be registered on the meters and based on the  
24           association of energy with their original demands,  
25           we'll now take that 2 megawatts of power, multiply it

1 by the factor to see how much energy is going to be  
2 left on standby services that company will be  
3 supplying.

4 MR. TRIPP: And for those customers you've  
5 just been describing, do they have a contract with  
6 Con Edison whereby Con Edison will provide backup  
7 power if their distributive generation fails?

8 MR. HOURHAN: In order to be on standby  
9 service, they have a standby service contract. They  
10 have a contract to demand that they're charged. So  
11 that if they ever take their generator off line, even  
12 if it's a peak day that the company is obligated to  
13 supply that customer.

14 MR. TRIPP: But for purposes of your  
15 determining the delivery volume forecast, you assume  
16 that their distributive generation capacity will be  
17 operating? Or you discount it by some of them?

18 MR. HOURHAN: No. Whatever we say that the  
19 company will supply, like I said the example of the  
20 10 megawatt customer, we will put that energy  
21 associated with the 2 megawatts that are still left  
22 above the plant's capacity. We'll still leave that  
23 in our delivery volume forecast. And what we then do  
24 is remove all the energy that's associated with the 8  
25 megawatts that they're generating for our total

1 volumes.

2 MR. TRIPP: I asked you before about peak  
3 demand forecasting and you said you don't do it. But  
4 let me direct your attention to pages 29, 30 and 31  
5 of your rebuttal where you're responding to testimony  
6 from Mr. Vue [phonetic] where he's comparing the  
7 delivery volume forecast relative to the peak - -.  
8 Who did that, the analysis that's presented in those  
9 papers?

10 MR. HOURHAN: I did most of them. I  
11 reached out to the people that do the peak forecast  
12 and went over, and we discussed our response to put  
13 in there.

14 MR. TRIPP: So this analysis points out  
15 that the, either the growth rate or the reduction  
16 rate in peak power may be different from what it is  
17 for the delivery volume; is that correct?

18 MR. HOURHAN: Well, it's just saying that  
19 because of different aspects on the two of them.  
20 Whereas, the sales forecast is impacted by  
21 distributive generation where the peak necessarily is  
22 not. And you have other customers, like I pointed  
23 out, like the City of New York has been exclusively  
24 reducing their load on the street lighting. Those  
25 are two aspects, if you want, that have nothing to do

1 with 4:00 to 6:00 p.m. on a summer afternoon on the  
2 third day of a heat wave.

3 MR. TRIPP: So you say distributive  
4 generation has nothing to do with peak demand on a  
5 hot day?

6 MR. HOURHAN: It has something to do with  
7 it. What I'm saying is that the company has to  
8 maintain that they may be supplying 10 megawatts on a  
9 peak summer day.

10 MR. TRIPP: And you point out on page 31  
11 that for the years, I guess four years, 2008 through  
12 2012, that in fact the system peak growth for three  
13 of those four years was negative and another year at  
14 zero?

15 MR. HOURHAN: Correct. And that's based on  
16 the information that was supplied to Ampu Lu. He put  
17 in his, as a backup table to his testimony.

18 MR. TRIPP: And for three of those four  
19 years the delivery growth volume was in fact  
20 positive, is that right?

21 MR. HOURHAN: Correct.

22 MR. TRIPP: So at least for three of those  
23 four years, there was delivery volume growth of  
24 something greater than zero and yet a decline in peak  
25 growth, is that correct?

1                   MR. HOURHAN: That's correct. And the  
2 whole thing is to show that, you know, just looking  
3 at the last four years, you can't say that well, if  
4 peak is growing by this, we're declining by that.  
5 That the sales forecast should follow the same  
6 direction or should be the same percentage.

7                   MR. TRIPP: Do you have any explanation for  
8 this differential in what's happened to peak demand  
9 and delivery volume or is that somebody else at Con  
10 Edison who would have an answer for that?

11                  MR. HOURHAN: That would more or less be,  
12 if you wanted the best answer, we'd be going to the  
13 electric peak forecasting group.

14                  MR. TRIPP: I have no further questions.

15                  ALJ AGRESTA: Thank you. DPS staff.

16                  MR. DAKIN LECAKES: Thank you your honor.  
17 Panel, my name is Dakin Lecakes. I'm attorney for  
18 the Department of Public Service Staff. In your  
19 rebuttal testimony you provided an updated electric  
20 forecast, correct?

21                  MR. NG: Yes.

22                  MR. LECAKES: And part of the reason for  
23 that update was the availability of historical data  
24 through December 2012, correct?

25                  MR. NG: Yes.

1                   MR. LECAKES: For the most part, you did  
2 not change the model for your update from your direct  
3 testimony; is that correct?

4                   MR. NG: Yes.

5                   MR. LECAKES: And the only change that was  
6 made to your update was the use of a dummy variable  
7 for two of the forecast models; is that correct?

8                   MR. NG: Are you referring to the dummy  
9 variable for the fourth quarter of 2012?

10                  MR. LECAKES: Yes. In the updated model,  
11 as I understand it, there was a dummy variable  
12 inserted into SC9 model and the send out model; is  
13 that correct?

14                  MR. NG: That's correct.

15                  MR. LECAKES: Other than that change, there  
16 was no other change to the models from the direct  
17 testimony to the rebuttal testimony to the models  
18 themselves; is that correct?

19                  MR. NG: There's no change in the structure  
20 of the model, the variables, but the estimated  
21 equations changed because of change in data.

22                  MR. LECAKES: Right. So where we're at  
23 right now is we have the same model used in the  
24 original forecast and then the updated forecast, the  
25 data from fourth quarter of 2012 and then a dummy



1 variable used in SC9 and sent out, correct?

2 MR. NG: That's correct.

3 MR. LECAKES: Okay. You did not include  
4 that dummy variable in any other service class  
5 models, correct?

6 MR. NG: We tried those variables in all  
7 our models. We put them into the models and we  
8 tested for their significance. We found that that  
9 variable was significant at 5% level, the standard 5%  
10 level in only two models, SC9 and the standard model  
11 as mentioned earlier. They were not significant at  
12 the standard 5% level in the other models and  
13 therefore they were not included in their models.

14 MR. LECAKES: Without that dummy variable  
15 in the models for forecasts for SC9 delivery and send  
16 out, the SC9 delivery and send out results were  
17 lower, correct, without the dummy variable?

18 MR. NG: Yes, the forecast for SC9 and send  
19 out would have been lower without the dummy variable.

20 MR. LECAKES: In fact, as I read your  
21 testimony, I believe that you found that without the  
22 dummy variable in SC9 and send out, there was a  
23 significant negative impact on the volume for the  
24 fourth quarter of 2012 sales; is that correct?

25 MR. NG: Yes.

1                   MR. LECAKES: And by negative impact, we  
2 mean that the models results were lower than you  
3 expected them to be, correct?

4                   MR. NG: No, the forecast would have been  
5 lower - - .

6                   MR. LECAKES: Okay. Would it be fair to  
7 say unreasonably low?

8                   MR. NG: Based on the historical pattern of  
9 the sales growth, yes, it would have been unusually  
10 low.

11                  MR. LECAKES: You attributed the negative  
12 effect on the model results to the impact of super  
13 storm Sandy; is that correct?

14                  MR. NG: Yes.

15                  MR. LECAKES: As well as the aftermath of  
16 super storm Sandy, meaning the cleanup and recovery  
17 period?

18                  MR. NG: Yes.

19                  MR. LECAKES: The dummy variable that you  
20 used was necessary to prevent the temporary impact of  
21 the storm from influencing the forecast, correct?  
22 For SC9 and send out.

23                  MR. NG: Well, because the sales volume for  
24 SC9 and send out were unusually low in the fourth  
25 quarter of 2012, if you build a forecast from those

1 values, you're going to get lower forecasts in the  
2 same quarter in the following year. So putting in  
3 the dummy would ignore that last observation in 2012  
4 for those two months.

5 MR. LECAKES: Based on your experience, the  
6 impact of Sandy and a storm of that size on electric  
7 usage is likely only to be negative; is that correct?  
8 Let me rephrase the question. With a storm like  
9 Sandy, you wouldn't expect there to be more electric  
10 usage, would you?

11 MR. NG: Well, considering all of the  
12 outages and the equipment that were damaged, I would  
13 expect the usage be low.

14 MR. LECAKES: Am I correct that portions of  
15 the electric system were turned off to minimize the  
16 impacts of the electric system or on the electric  
17 system prior to the storm, if you know.

18 MS. LENZ: Yeah, I don't think we  
19 participate in that - -. I'm not really sure.

20 MR. LECAKES: That's fair. Am I correct,  
21 if you know, that electricity was not restored to the  
22 entire Con Edison service territory immediately after  
23 the storm ended?

24 MS. LENZ: I mean, there were customers out  
25 for a period of time, not immediately or immediate,

1 so our—

2 MR. LECAKES: [Interposing] right, and by a  
3 period of time, at least a few days or a couple of  
4 days, if you know.

5 MS. LENZ: I mean, there were customers out  
6 for a few days. I don't know how many customers but...

7 MR. LECAKES: The outage that we were just  
8 discussing, that affected customers in all services  
9 classes; am I correct?

10 MR. HOURHAN: It probably affected most of  
11 the service classes.

12 MR. LECAKES: The dummy variable was not  
13 included though, as we discussed, earlier in the  
14 other models, correct?

15 MR. NG: Correct.

16 MR. LECAKES: Did you run the—actually you  
17 mentioned earlier, I believe, that you ran the other  
18 service class models with that dummy variable,  
19 correct?

20 MR. NG: Correct.

21 MR. LECAKES: And that's why you said when  
22 you saw those test results they appeared to be  
23 statistically insignificant so you did not include  
24 those in your update, correct?

25 MR. NG: Correct.

1 MR. LECAKES: Now I will acknowledge that  
2 your answer said that your results were statistically  
3 insignificant but notwithstanding that, am I correct  
4 that the forecast for those other service classes  
5 would have been higher if the dummy variable was used  
6 in them?

7 MR. NG: I couldn't answer that because I  
8 didn't try forecasting without those—with those dummy  
9 variables being those - - .

10 MR. LECAKES: Okay, no problem. I have no  
11 further questions Your Honor.

12 ALJ AGRESTA: Okay. Thank you. Any  
13 redirect?

14 MS. KRAYESKE: Can you give us a second,  
15 Your Honor?

16 Just one question, Your Honors.

17 Panel, when you looked at the forecast for,  
18 after super storm Sandy, did you look at the growth  
19 rates regarding all the classes?

20 MR. NG: Yes, I looked at the growth rates  
21 of all of the classes and I found that for the  
22 service classes without a dummy, the growth rates did  
23 look—they looked reasonable without the dummy whereas  
24 for SC9 and send out, they looked unreasonably low  
25 without the dummy, and therefore the dummy was

1 included in those two service classes.

2 MR. KRAYESKE: Nothing further.

3 MR. TRIPP: Your Honor, can I ask a  
4 question?

5 ALJ AGRESTA: If you're ready, Mr. Tripp,  
6 go ahead.

7 MR. TRIPP: I asked this panel about peak  
8 demand forecasting, which they do talk about in their  
9 rebuttal testimony. They said they don't do it. And  
10 they referred to a Con Edison peak demand forecasting  
11 panel. Well, there isn't such a panel so I guess  
12 this is maybe a question for people of Con Edison,  
13 you know, really having to do with which panel is the  
14 right one to ask about that.

15 ALJ AGRESTA: I don't think they referred  
16 to a panel. I think they referred to another  
17 division of the company.

18 MR. KRAYESKE: Right, they didn't refer to  
19 a panel.

20 MS. LENZ: I don't think there is a  
21 witness.

22 ALJ AGRESTA: Okay, so go ahead. There is  
23 no witness apparently so go ahead and ask your  
24 question.

25 MR. TRIPP: So do you do peak demand

1 forecasting?

2 MS. LENZ: No, we don't do demand  
3 forecasts.

4 MR. TRIPP: And does, to your knowledge, no  
5 one at Con Edison or at least no witness here who is  
6 going to appear to speak to the forecast.

7 MS. LENZ: Yeah, I don't believe there is a  
8 witness to testify on a peak demand forecast in this  
9 case. There is a department in the company that does  
10 the peak demand forecasts. That's not us.

11 MR. TRIPP: Thank you.

12 MR. LECAKES: Your Honor, as to our extra  
13 cross on follow up to the redirect, we'd be happy to  
14 address our points in brief. We have nothing.

15 ALJ AGRESTA: Thank you. Okay. Then these  
16 witnesses are excused. Thank you. Con Ed call the  
17 next witness.

18 MS. KRAYESKE: The company calls the gas  
19 forecasters now.

20 ALJ AGRESTA: You're the panel?

21 [Laughter]

22 ALJ AGRESTA: Did they all abandon you?

23 ALJ BIELAWSKI: Ms. Lenz, you're still  
24 under oath to your testimony. Raise your right hand,  
25 please. Do you swear or affirm that the testimony

1           you are about to give will be the truth, the whole  
2           truth and nothing but the truth?

3                   MR. SCOTT CAMPAGNE: I do.

4                   ALJ BIELAWSKI: And you adopt the prefiled  
5           testimony as your sworn testimony in these  
6           proceedings?

7                   MR. CAMPAGNE: I do.

8                   ALJ BIELAWSKI: Thank you. You may be  
9           seated.

10                  MS. KRAYESKE: Does the panel have any  
11           corrections to either its initial or its rebuttal  
12           testimony?

13                  MS. LENZ: We do have one correction. It's  
14           in the rebuttal testimony on page 22, line 22. The  
15           number 2307 should be replaced by 1573.

16                  MS. KRAYESKE: Any additional corrections?

17                  MS. LENZ: That's all.

18                  MS. KRAYESKE: The panel is available for  
19           cross.

20                  MR. BRIAN OSSIES: Could you just repeat  
21           the lines, page and line?

22                  MS. LENZ: It's page 22 of the rebuttal  
23           testimony, line 22, the number 2307 should be 1573.

24                  ALJ AGRESTA: Okay, staff, it's your turn  
25           to cross.



1 MR. BRAIN OSSIES: Just one minute, Your  
2 Honor. I have to consult with my notes.

3 ALJ AGRESTA: That's Mr. Ossies. Start  
4 with your name, please.

5 MR. OSSIES: Thank you, Your Honor. My  
6 name is Brian Ossies with the Department of Health  
7 Service Staff. I have some very brief questions for  
8 you today. The first thing I'd like to do is have  
9 Your Honor's—the company's response to DPS number 55.  
10 The packet premarked for identification. The  
11 response to DPS 755 consists of one page Q and A as  
12 well as several pages of exhibits.

13 ALJ AGRESTA: And consistently with past  
14 practice, it says page one of two even though there's  
15 only one page.

16 MR. OSSIES: We like to be consistent with  
17 past practice, Your Honor. But you are correct, it's  
18 page one of one. There is a blank page as well.

19 ALJ AGRESTA: Okay, we'll mark this as  
20 Exhibit 794 for identification.

21 MR. OSSIES: Panel, did you have an  
22 opportunity to review the response to DPS 755?

23 MS. LENZ: Yes.

24 MR. OSSIES: Thank you. And panel, was  
25 this response prepared by you or under your

1 supervision?

2 MS. LENZ: Yes.

3 MR. OSSIES: Could you briefly explain what  
4 the response entails?

5 MR. CAMPAGNE: The response was a, provided  
6 the volume—

7 ALJ AGRESTA: [Interposing] please move the  
8 microphone closer to you.

9 MR. CAMPAGNE: Yes. The response provided  
10 the usage from January through June 2013, as well as  
11 equivalent bill information.

12 MR. OSSIES: Thank you. And with that  
13 additional usage and bill information in mind, did  
14 the panel run an update of the company's gas  
15 forecasting sales model to compare against the actual  
16 monthly 30-day billing equivalent?

17 MS. LENZ: Are you asking for a sales  
18 update or - - update?

19 MR. OSSIES: Why don't we start with the  
20 sales update.

21 MS. LENZ: No, we didn't update our updated  
22 forecast in this information.

23 MR. OSSIES: Okay. Thank you. And did the  
24 panel run an updated forecast using its model to  
25 compare the actual monthly 30-day billing equivalent

1 for bills? A comparison of the forecast to the  
2 actual, if that helps.

3 MS. LENZ: We looked at our forecast versus  
4 how they were tracking an update on forecast. We  
5 compared our forecast and bills to the historical  
6 company - - .

7 MR. OSSIES: Okay. Your Honors, could we  
8 ask for that information to be provided and leave a  
9 space on the record?

10 ALJ AGRESTA: Can you be a little more  
11 specific as to what that information is?

12 MR. OSSIES: Sure.

13 MS. LENZ: When I say compare, I don't  
14 necessarily say I have a piece of paper. We  
15 eyeballed it. So I mean, we can, I mean, we have the  
16 information available. It's—

17 MR. OSSIES: [Interposing] that would be  
18 the company's forecast, the actual comparison  
19 forecast for the months January through June 2013.

20 MS. KRAYESKE: Your Honor, I object. The  
21 company provided staff with the same information that  
22 the company would have looked at to eyeball the  
23 forecast. So staff is certainly capable of looking  
24 at that information and coming up with what they  
25 believe the forecast would be.

1                   MR. OSSIES: The panel, we're asking for a  
2 comparison. The panel has this information  
3 available. They have their model. The panel has  
4 said they eyeballed it. I think it would be  
5 important to know how its, you know, how its  
6 comparison—

7                   ALJ AGRESTA: [Interposing] okay, let's  
8 start at the beginning now. Does the panel  
9 understand what they're even asking for?

10                  MS. LENZ: I thought they were asking for a  
11 comparison of the historical monthly bills, how they  
12 came in, versus our forecast, the January through  
13 June period. And then, - - to reiterate it, they  
14 have our forecast; they asked for the actual which we  
15 provided. So it's, we did not re-forecast our bills  
16 if that's what you're thinking. We just—so they have  
17 the information necessary to do what they're asking  
18 us to do.

19                  MR. CAMPAGNE: What I'd like—again, let me  
20 clarify. What I'd like the company to do is to  
21 provide a validated model against the recent actual  
22 that the company provided in its update.

23                  MS. KRAYESKE: The company provided an  
24 update, Your Honor, that included all of the things  
25 that needed to be updated as of December 30th, 2012.

1 We did not do a subsequent update and generally  
2 subsequent updates are not done. We did an initial  
3 forecast and we did an update. In fact, what Mr.  
4 Ossies is asking for is a third update.

5 ALJ AGRESTA: Okay, but is the reason why  
6 you're asking for it is because they have the model  
7 and you don't?

8 MR. OSSIES: That's correct, Your Honor.

9 ALJ AGRESTA: Okay. Would it be a  
10 monumental task for you to run the model one more  
11 time?

12 MS. LENZ: So you want us to update our  
13 forecast of billing; is that correct? Because  
14 initially I thought he just wanted us to compare how  
15 we're tracking to our updated forecast. So you want  
16 a whole new forecast?

17 MR. OSSIES: No.

18 MS. LENZ: Oh.

19 MR. OSSIES: I want a comparison to the  
20 recent—against the recent actual.

21 MS. LENZ: Okay. But I mean, we could do  
22 it but you also have the data to do it. That's—

23 MR. OSSIES: [Interposing] you have the  
24 model.

25 MS. LENZ: But the model, you have the

1 model, but you don't need the model because the model  
2 gives you the forecast which is done already. That's  
3 where I'm confused. Unless you're asking for a new  
4 forecast.

5 ALJ AGRESTA: I'm confused too. It sounds  
6 like you want them to re-run the model and produce  
7 another forecast using this new data. But you're not  
8 being clear.

9 MR. OSSIES: Your Honor, all I want is the  
10 comparisons to be on the record. Us running it at  
11 this point would have very little effect for purposes  
12 of getting this on the record.

13 MS. LENZ: When you say running it, it's  
14 just looking at the numbers and comparing. You're  
15 not really running anything. That's where I'm not  
16 sure when he's saying running.

17 MR. OSSIES: Again, I'll restate. I'd like  
18 a validation of the company's model against the  
19 recent actuals that the company provided.

20 MR. KRAYESKE: Your Honor, if the company  
21 was to do the model, and I'm still confused about  
22 what's being asked here.

23 ALJ AGRESTA: [Interposing] and I don't  
24 know what a validation of the company's model even  
25 means so you're going to have to come up with a

1 better way to say that.

2 MS. OSSIES: I'm just looking for a  
3 comparison for the record.

4 MS. KRAYESKE: A comparison for the record  
5 I think would simply be taking the numbers that were  
6 provided in the response to 755 and comparing it to  
7 whatever our original forecast was which is something  
8 that staff could do.

9 ALJ AGRESTA: And that second set of  
10 numbers is already in the record somewhere?

11 MS. KRAYESKE: I believe our forecast  
12 numbers were January through June 2013 are in the  
13 record. I can't point to it right now.

14 ALJ AGRESTA: Does the panel know where  
15 that would be?

16 MR. CAMPAGNE: It would be in the backup  
17 work pages.

18 MS. KRAYESKE: Which we provided to staff.

19 ALJ AGRESTA: Okay, so that doesn't put it  
20 in the record.

21 MS. OSSIES: No, Your Honor.

22 ALJ AGRESTA: Can the panel produce  
23 something that we'll call a comparison, which is the  
24 two sets of numbers that staff is apparently seeking,  
25 in a single electronic document that we can mark in

1 as an exhibit? And where it goes with that, I don't  
2 know. But...

3 MR. LENZ: Yes.

4 ALJ AGRESTA: Okay. Thank you.

5 MR. OSSIES: Thank you, Your Honor. I have  
6 no further questions.

7 ALJ AGRESTA: We're going to reserve  
8 Exhibit number 795 for what I'm going to loosely call  
9 a comparison and which the panel is going to help us  
10 out by producing something that makes some sense out  
11 of that word. Is there any redirect?

12 MS. KRAYESKE: Can you give us a second,  
13 please, Your Honor?

14 ALJ AGRESTA: Yes.

15 MS. KRAYESKE: So—

16 ALJ AGRESTA: [Interposing] okay, hold on  
17 a second. Are you recording? Okay. Go ahead.

18 MS. KRAYESKE: Your Honor, we have no  
19 further questions for this panel.

20 ALJ AGRESTA: Thank you.

21 MS. KRAYESKE: I'm ready to call the next  
22 panel, which are the same two witnesses.

23 [laughter]

24 MS. KRAYESKE: Mr. Campagne and Ms. Lenz  
25 are the steam forecasting panel.



1 ALJ AGRESTA: Okay.

2 MS. KRAYESKE: So I don't—

3 ALJ AGRESTA: [interposing] they're still  
4 under oath and so we're not going to do that again.

5 MS. KRAYESKE: And did you guys have any  
6 corrections to this testimony?

7 MR. JAY GOODMAN: No, no corrections.

8 MS. KRAYESKE: They're available for cross,  
9 Your Honor.

10 ALJ AGRESTA: New York City.

11 MR. JAY GOODMAN: Thank you Your Honor.  
12 Good morning, panel. My name is Jay Goodman,  
13 attorney for the City of New York. I have just a few  
14 questions for you this morning. First, on pages  
15 three to four of your direct testimony, you testified  
16 that the weather normalization clause that - - were  
17 adjusted on a real time basis for variance in  
18 weather, normal weather outside the dead band before  
19 customer bills are issued; isn't that correct?

20 MS. LENZ: It's to adjust for actual  
21 weather that may some - - right outside the dead  
22 band.

23 MR. GOODMAN: And on page 27 of your  
24 rebuttal testimony, you testified that the company  
25 did not need to demonstrate a financial need for the

1 weather normalization clause because it is not  
2 purposed in the mechanism and you address the  
3 financial need; isn't that correct?

4 MS. LENZ: Can you say which minutes, the  
5 page again and line number?

6 MR. GOODMAN: It was page 27. Simply that  
7 it's the panel's position that because it's not  
8 proposing the weather normalization clause to adjust  
9 the financial needs; that it did not need to  
10 demonstrate a financial need. Is that correct?

11 MS. LENZ: We say that is not proposing it  
12 in our financial needs.

13 MR. CAMPAGNE: That's correct.

14 MR. GOODMAN: The panel testified that one  
15 reason to implement a weather normalization clause is  
16 to moderate annual variations in revenues due to  
17 weather; isn't that correct?

18 MR. CAMPAGNE: That's correct.

19 MR. GOODMAN: I'm sorry, annual variations  
20 in revenues due to weather.

21 ALJ AGRESTA: [Interposing] could you move  
22 your microphone down, please, and speak right into  
23 it. Just put it right up to your face.

24 MR. GOODMAN: And the panel also  
25 anticipates that if the period of normal weather

1 switched from 30 years to 10 years, that those year  
2 to year variations in revenues due to weather might  
3 increase, there might be more volatility. That was a  
4 concern expressed by the panel in its testimony; is  
5 that correct?

6 MS. LENZ: Right. We said there would be  
7 more volatility in a 10-year normal because you have  
8 more weight at each year. You have 1, 10 - - versus  
9 a 30-year normals only - - .

10 MR. GOODMAN: And the weather normalization  
11 clause would moderate the financial impact of weather  
12 related variations and revenues on the company; isn't  
13 that correct?

14 MS. LENZ: The weather normalization clause  
15 we're proposing is to protect both the customer and  
16 the company. So it also, you know, moderates the  
17 effect of weather on the customer's bills.

18 MR. GOODMAN: I understand, but one purpose  
19 would be to moderate the financial impact on the  
20 company—

21 MS. LENZ: [Interposing] well, it would  
22 stabilize their bills.

23 MR. GOODMAN: For the customer, but from  
24 the company's perspective, it would moderate those—

25 MS. LENZ: [Interposing] it would also

1 moderate revenues to the variations in weather.

2 MR. GOODMAN: Since the weather  
3 normalization clause would reduce the risk of revenue  
4 volatility, if the clause is approved as proposed,  
5 would the company accept a lower return on equity  
6 given the lower risk to the company?

7 MS. LENZ: I don't know if that's  
8 necessarily a lower risk. It's still risky to the  
9 company in other areas.

10 MR. GOODMAN: In other areas, but with  
11 respect to this one area, the risk is reduced; is  
12 that correct?

13 MR. RICHTER: Your Honor, these witnesses  
14 are not testifying as to the proposed ROA, in this  
15 case to the company.

16 ALJ AGRESTA: I'm sorry, what was the  
17 question again?

18 MR. GOODMAN: Given that the proposed  
19 weather normalization clause would reduce the risk of  
20 revenue volatility, isn't it true that if the clause  
21 was approved—I'm sorry, let me start over. Given  
22 that the clause would reduce the risk of revenue  
23 volatility, would the company accept a lower return  
24 on equity if the weather normalization clause is  
25 approved as proposed?

1                   MR. RICHTER: I think such a question would  
2 have been more properly addressed to the company's  
3 cost of capital witnesses when they were on the  
4 stand.

5                   ALJ AGRESTA: I agree. This is not the  
6 panel for that.

7                   MR. GOODMAN: Your Honor, I have a  
8 discovery response I'd like to have marked into the  
9 record. This is panel's response to staff IR139, if  
10 you'd take a moment to look at it.

11                  MALE VOICE 1: Do you want one copy or two?

12                  ALJ AGRESTA: Okay. This is a six page  
13 exhibit. The first page appears to indicate that  
14 it's a response to question number S0139 and that the  
15 response was provided by the Con Ed's - - forecasting  
16 panel. I will mark it as Exhibit 796 for  
17 identification.

18                  MR. GOODMAN: Panel, have you had an  
19 opportunity to read the questions? I would just like  
20 to direct your attention to subpart four, the  
21 question reading explain why the dead band range 95%  
22 and 105% throughout the normal was chosen. As you  
23 see on page two, the panel's response to the question  
24 is that the dead band around normal heating three  
25 days was selected based on discussions with the

1 accounting panel regarding a reasonable weather  
2 related level of risk to steam return on equity. So  
3 I have two follow up questions then. First, let me  
4 restate the question. I'd like to go back to my  
5 prior question of given that the weather  
6 normalization clause would reduce the annual risk of  
7 revenue volatility to the company, if it is approved  
8 as proposed, would the company accept a lower return  
9 on equity. Your Honor, given that the panel touched  
10 on the issue in its response, I think that this is a  
11 relevant question.

12 ALJ AGRESTA: Again, the interrogatory  
13 response appears to indicate that the accounting  
14 panel is the one that made the decision on return of  
15 equity. I'll let the panel answer if it knows what  
16 the company's position is going to be. I don't have  
17 great hopes. So panel, do you know the answer to  
18 that?

19 MS. LENZ: No.

20 ALJ AGRESTA: I would like to know though  
21 if you could explain—if I could interrupt you for a  
22 second, Mr. Goodman. What exactly is going on here  
23 with the mention of return on equity? What is it  
24 that the—explain in your own words how the dead band  
25 relates to return on equity.

1 MS. LENZ: It was basically equating it to  
2 a dollar figure. So how the dollar figure, and the  
3 dollar revenues that we would be at risk for within  
4 the dead band would impact a level of revenues.

5 ALJ AGRESTA: So within the dead band you  
6 might be giving up revenues or you might be getting  
7 revenues or you might be getting too many revenues.

8 MS. LENZ: That's correct.

9 ALJ AGRESTA: And you want to look at  
10 whether that amount of revenue is significant in  
11 terms of whatever the return is going to be for the  
12 company?

13 MS. LENZ: Correct.

14 ALJ AGRESTA: Okay. And so the dead band—  
15 did you conclude that the dead bank would reduce  
16 somewhat the risk of the company?

17 MS. LENZ: Well, I don't think the dead  
18 band reduced the risk.

19 ALJ AGRESTA: I'm sorry; the weather  
20 normalization adjustment altogether, would that  
21 reduce the risk to the company?

22 MS. LENZ: I mean, it would, we would  
23 retain revenues at the normal level of whether that  
24 rate is set at so, you know, right now we, if it's a  
25 milder winter or a colder winter, we do the—you know,

1 we take more revenues or less revenues. I don't know  
2 if that answers the question.

3 ALJ AGRESTA: Okay, I think I understand  
4 where you're coming from. Go ahead, Mr. Goodman.

5 MR. GOODMAN: That's all I have with  
6 respect to that exhibit. My last question is that  
7 the weather normalization clause is based on an  
8 estimate of the average per customer's steam usage  
9 under normal weather; isn't that correct?

10 MS. LENZ: Correct.

11 MR. GOODMAN: Isn't it also correct,  
12 therefore, that a new customer with very efficient  
13 steam equipment would be deemed to have class average  
14 usage levels for purposes of the weather  
15 normalization clause?

16 MS. LENZ: Well, if you're a new customer,  
17 we would be updating or refreshing equations every  
18 year so eventually you would be, that would be  
19 reflected in the weather response to the average  
20 class.

21 MR. GOODMAN: I'm sorry, I didn't hear the  
22 full answer. Could you repeat that?

23 MS. LENZ: In order to estimate the weather  
24 effect, we would be running your aggression analysis  
25 to determine how much each degree day effects



1 customer's usage. If we have a new customer that's  
2 much more energy efficient, and their weather effect  
3 is less, that would be embedded in the refreshed  
4 analysis and the overall reduce all of the customers.

5 MR. GOODMAN: Just to be clear that I  
6 understand the response correctly, that is a class  
7 average.

8 MS. LENZ: It is a class average but—

9 MR. GOODMAN: [Interposing] but you said  
10 over time—

11 MS. LENZ: [interposing] right, but then in  
12 a class average, right, all customers that will use  
13 less. So while some customers may have a higher  
14 weather impact, some have less, it's going to have an  
15 overall—those customers using more then will benefit  
16 if they're impacted by customers that are more  
17 efficient.

18 MR. GOODMAN: So over time, the class  
19 average will the—excuse me, the more efficient  
20 customer, but that new customer with very efficient  
21 steam equipment still will be having class average  
22 usage.

23 MS. LENZ: Yes.

24 MR. GOODMAN: So similarly, if you have an  
25 existing customer that implements energy efficiency

1 measures or otherwise reduces its load, that customer  
2 also would be deemed to have a class average use  
3 levels for purposes of the clause, correct?

4 MS. LENZ: Could you repeat the question?

5 MR. GOODMAN: Sure. It's just a variation  
6 on the question that you just answered. And that's  
7 then, say the new customer, if you have an existing  
8 customer that implements energy efficiency measures  
9 or otherwise reduces its load, that customer would be  
10 deemed to have class average usage levels for  
11 purposes of the weather normalization clause; isn't  
12 that correct?

13 MS. LENZ: Yes.

14 MR. GOODMAN: The operation of weather  
15 normalization clause would not be able to distinguish  
16 whether a customer's change in lower consumption is  
17 due to an intentional act by the customer or due to  
18 weather; isn't that correct?

19 MS. LENZ: Well, then maybe we should talk  
20 about whether - - efficiency. I mean, it's when the  
21 energy efficiency impact on the steam load, and as  
22 long as - - was injected last case because there  
23 weren't many measures.

24 MR. GOODMAN: Well, the question is to  
25 understand how the weather normalization clause

1 would--what the impact of that would be to the  
2 customer's perspective if they're energy efficiency--

3 MS. LENZ: [Interposing] well, we're not  
4 saying to be perfect.

5 MR. GOODMAN: [Interposing] because you  
6 mentioned revenue to the company.

7 MS. LENZ: We're not saying it's going to  
8 be perfect for every customer. You have to make  
9 assumptions. You're right. There are some customers  
10 who will probably use more in their, and there are  
11 weather factors, they probably won't pay what they're  
12 using on the weather - -, but overall we're updating  
13 every year so over time it will reflect usage  
14 characteristics of the customers if they're providing  
15 efficient measures in, those type of things.

16 MR. GOODMAN: On a class - - basis.

17 MS. LENZ: Yes.

18 MR. GOODMAN: So a customer that invests in  
19 energy efficiency measures or monitors its steam  
20 usage to manage monthly costs, would not realize the  
21 full benefits of those efforts if its bills are  
22 adjusted by the weather normalization clause; isn't  
23 that correct?

24 MS. LENZ: Well, I don't agree with that.  
25 I mean, it's still saving money on the energy portion

1 of the bill. I mean, you know, we're trying to  
2 basically reflect in the - - revenues what somebody  
3 would have received in a normal weather which - - .  
4 So the customer still benefits from whatever measures  
5 they put in fuel side, they'll still save quite a  
6 bit.

7 MR. GOODMAN: Nothing further, Your Honor.

8 ALJ AGRESTA: When you say it's updated  
9 annually, that means that it's like a rolling class  
10 average that continually gets updated?

11 MS. LENZ: Well, once a year. It's not  
12 every month, it's once a year--

13 ALJ AGRESTA: [Interposing] right.

14 MS. LENZ: We reflect the prior year's  
15 winter.

16 ALJ AGRESTA: So if a customer takes an  
17 action at the beginning of the year, it won't get  
18 reflected in the class average until it's already  
19 been in place probably for about a year. Is that how  
20 it works?

21 MS. CAMPAGNE: Yes, similar to gas. It  
22 would be updated every year.

23 ALJ AGRESTA: Okay. Is there any redirect?

24 MS. KRAYESKE: One second, Your Honor.

25 ALJ AGRESTA: Okay, we're back on the

1 record.

2 MS. KRAYESKE: Just one question, Your  
3 Honor. Can you just explain a little bit about how  
4 the application of the steam weather normalization  
5 clause?

6 MS. LENZ: We just want to clarify that the  
7 steam weather normalization clause would only be  
8 applied in the months of November through April. I  
9 think earlier it was mentioned something about  
10 annual. So it's only the billing months from  
11 November through April.

12 MS. KRAYESKE: Nothing further.

13 ALJ AGRESTA: Okay. Thank you. These  
14 witnesses are excused. Staff, it's your turn to call  
15 a witness.

16 MR. LECAKES: Thank you, Your Honor. Staff  
17 calls An Ping Lu [phonetic].

18 ALJ BIELAWSKI: May I have you stand,  
19 please, and raise your right hand. Do you swear or  
20 affirm that the testimony you are about to give will  
21 be the truth, the whole truth and nothing but the  
22 truth?

23 DR. LU: Yes.

24 ALJ BIELAWSKI: And do you adopt your  
25 prefiled testimony as your sworn testimony in these

1 proceedings?

2 DR. LU: Yes.

3 ALJ BIELAWSKI: Thank you.

4 MR. LECAKES: Dr. Lu, you only filed direct  
5 testimony; is that correct?

6 DR. LU: Yes.

7 MR. LECAKES: Do you have any corrections  
8 to that testimony?

9 DR. LU: No, I don't.

10 MR. LECAKES: Your Honor, the witness is  
11 available for cross examination.

12 ALJ AGRESTA: Okay. The only cross I see  
13 is Con Edison.

14 MS. KRAYESKE: Okay, Your Honor. Hello,  
15 Dr. Lu. How are you today?

16 DR. LU: Fine, thank you. How are you?

17 MS. KRAYESKE: Good. My name is Mary  
18 Krayeske and I'm from Con Edison and I just have a  
19 couple of questions for you. The case 0170523, you  
20 recommended models of the same functional form the  
21 company used in this case, correct?

22 DR. LU: Correct.

23 MS. KRAYESKE: And in case 08E0539, you  
24 also recommended models of the same functional form  
25 that the company used in this case, correct?

1 DR. LU: I don't recall. In the previous  
2 case I think I—could you speak the case number again?

3 MS. KRAYESKE: This was the 08 case, case  
4 08E0539.

5 ALJ AGRESTA: Which company was that,  
6 please?

7 MS. KRAYESKE: All three of these cases  
8 were Con Edison - - electric rate cases.

9 DR. LU: Okay, then the previous one is 07.

10 MS. KRAYESKE: Correct.

11 DR. LU: I don't recall a specifically a -  
12 - company's model.

13 MS. KRAYESKE: Would you accept, subject to  
14 check, that you recommended the models with same  
15 functional form?

16 DR. LU: Yes.

17 MS. KRAYESKE: Okay. And in case 09E0428  
18 which was the last electric rate case before this  
19 electric rate case, you also recommended models of  
20 the same functional form, correct?

21 DR. LU: Correct.

22 MS. KRAYESKE: Okay. On page five of your  
23 testimony you recommended 10-year average basis for  
24 normal weather because you say it puts more weight on  
25 recent weather data, correct?

1 DR. LU: Correct.

2 MS. KRAYESKE: And weather data is  
3 available on a year by year basis for many years,  
4 correct?

5 DR. LU: Yes.

6 MS. KRAYESKE: And you chose 10 years,  
7 correct?

8 DR. LU: Yes.

9 MS. KRAYESKE: What was the criteria that  
10 you used to determine that 10 years was the optimal  
11 amount?

12 DR. LU: One of the source we got is from  
13 the US Energy Administration (EIA). I don't have the  
14 resource of the citation - - the U.S. Department of  
15 Energy, EIA, has used the 10-year average before.  
16 And in considering 30-year versus 10-year is, 10 year  
17 is reflecting weather trend more accurately of  
18 current weather.

19 MS. KRAYESKE: Did you perform any studies  
20 to determine if 10 was the optimum number versus 5,  
21 versus 15, versus 20?

22 DR. LU: I did perform the 10 year instead  
23 of the 30. But I didn't do 5 year.

24 MS. KRAYESKE: Okay. If you were to use a  
25 model to forecast a variable, is ARIMA model



1           preferable to a cycle linear regression model?

2                   ALJ AGRESTA: I'm sorry. Is what kind of  
3           model?

4                   MS. KRAYESKE: ARIMA. Capital A, capital  
5           R, capital I, capital M, capital A. ARIMA.

6                   DR. LU: When you mentioned--can you define  
7           ARIMA - -? Did you mean to - - model - - the  
8           structure without the independent variable?

9                   MS. KRAYESKE: Yes, without the independent  
10          variable.

11                  DR. LU: So what was the question again?

12                  MS. KRAYESKE: Okay. So if you were to use  
13          a model to forecast a variable as an ARIMA, which  
14          means auto regressive integrated moving average,  
15          model preferable to the cycle linear regression  
16          model?

17                  DR. LU: It really depends on what I  
18          forecast.

19                  MS. KRAYESKE: On page 25 and 26 of your  
20          testimony, you explain that the inclusion of an  
21          intercept in Con Edison's model is equivalent to  
22          adding a time trend to the level model which can lead  
23          to an incorrectly specified model if the added time  
24          trend is irrelevant. Correct?

25                  DR. LU: Correct.

1 MS. KRAYESKE: You're saying that the  
2 addition of a time trend model may or may not be  
3 relevant, correct?

4 DR. LU: Correct.

5 MS. KRAYESKE: Did you conduct any tests to  
6 show that a time trend is not relevant in the level  
7 model equivalence of Con Edison's model?

8 DR. LU: No, I did not.

9 MS. KRAYESKE: So it's just conjecture on  
10 your part that Con Edison's model may be incorrectly  
11 specified, correct?

12 DR. LU: Correct.

13 MS. KRAYESKE: Then you say right after  
14 that on page 26, you say that the coefficients of the  
15 equations for an incorrectly specified model are  
16 biased, correct?

17 DR. LU: Yes.

18 MS. KRAYESKE: Were you referring to the  
19 situation where an irrelevant variable is added to a  
20 model?

21 DR. LU: Pardon me, what was—

22 MS. KRAYESKE: [Interposing] Were you  
23 referring to a situation where an irrelevant variable  
24 is added to a model?

25 DR. LU: I'm saying if the model is

1           incorrectly specified, such as including a time trend  
2           variable which would not being included, then the  
3           consequence would be the coefficient of the variable  
4           - - .

5                     MS. KRAYESKE: So you're saying this in  
6           general, correct?

7                     DR. LU: Yes.

8                     MS. KRAYESKE: You're not pointing to  
9           anything specific. It's more a theoretical  
10          statement.

11                    DR. LU: Yes.

12                    MS. KRAYESKE: Is it specifically with  
13          respect to the inclusion in a relevant variable?

14                    DR. LU: Yes.

15                    MS. KRAYESKE: Are you aware that in the  
16          situation where a model is overspecified, it could  
17          include an irrelevant variable, and therefore the  
18          statement could actually be false?

19                    MR. LECAKES: I apologize. Could I hear  
20          that question again?

21                    MS. KRAYESKE: Let me try it slightly  
22          differently.

23                    MR. LECAKES: Thanks very much.

24                    MS. KRAYESKE: Are you aware that the  
25          statement is actually false where the model includes

1 an irrelevant variable?

2 MR. LECAKES: By statement, are we still  
3 referring to his testimony on page 26, lines 9 and  
4 10?

5 MS. KRAYESKE: Yes.

6 MR. LECAKES: Okay.

7 DR. LU: Well, this statement is, according  
8 to the two types of errors, then if you included the  
9 variable that should not be included you could have  
10 biased estimate. On the other hand, if you omit some  
11 variables that should be included in the model, and  
12 the coefficient of the variable can also be biased.

13 MS. KRAYESKE: Are you saying that  
14 including an irrelevant variable in model leads to  
15 biased estimates?

16 DR. LU: Yes. Including an irrelevant  
17 variable in the model will result in biased  
18 estimates.

19 MS. KRAYESKE: Would you accept, subject to  
20 check, that in basic econometric textbooks, your  
21 statement is not true in the case of overspecified  
22 models? And I would give you the names of some  
23 textbooks or I can even provide you with some  
24 excerpts.

25 DR. LU: I think you're using words like

1           overspecified, correct? Or this is - -.

2                   MS. KRAYESKE: Yes, overspecified means  
3           inclusion of irrelevant variables.

4                   DR. LU: I would accept.

5                   MS. KRAYESKE: Okay. I refer you to  
6           customer forecasting models in Exhibit AL5. Do you  
7           agree that the logarithm of the number of customers  
8           in each service class is trending over time?

9                   DR. LU: Yes.

10                  MS. KRAYESKE: Do you agree that the  
11           dependent variable in each of your customer models is  
12           not stationery?

13                  DR. LU: Yes.

14                  MS. KRAYESKE: Do you agree that the  
15           logarithm of employment variables that was employed  
16           as a regressor in each of your customer models for  
17           SCs 1, 2, 8 and 9 is also trending over time?

18                  DR. LU: Yes.

19                  MS. KRAYESKE: Do you agree that the trend  
20           of the logarithm of employment variable is not  
21           assumed?

22                  DR. LU: Yes.

23                  MS. KRAYESKE: Did you perform any tests to  
24           see if the customer variable in each model and the  
25           employment variable are co-integrated?

1 DR. LU: No, I do not.

2 MS. KRAYESKE: Now I'd like to turn to the  
3 journal article that you included in Exhibit AL-8.  
4 Do you agree that this study warns about the  
5 potential loss in estimation efficiency when using  
6 difference equations only under certain particular  
7 conditions?

8 DR. LU: Yes.

9 MS. KRAYESKE: Do you have any proof that  
10 these particular conditions apply to Con Edison's  
11 models?

12 DR. LU: I did not perform any tests.

13 MS. KRAYESKE: I have nothing further.

14 MR. LECAKES: One minute with this witness  
15 Your Honor.

16 ALJ AGRESTA: Okay, we're back on the  
17 record, everyone.

18 MR. LECAKES: Dr. Lu, did you perform any  
19 tests for co-integration between the dependent  
20 variable and the regressors of each of your logarithm  
21 and linear models?

22 DR. LU: No, I did not.

23 MR. LECAKES: And why not?

24 DR. LU: I believe my models have been  
25 appropriately analyzed with the - - relationship with

1 taking care of the regression of the residuals based  
2 on recent - - .

3 MR. LECAKES: I have no further questions,  
4 Your Honor.

5 MS. KRAYESKE: Nothing further.

6 ALJ AGRESTA: Okay. This witness is  
7 excused. Thank you. We're going to take a 10-minute  
8 break but if the next panel could come up and take  
9 its place. Off the record.

10 Okay, we're on the record.

11 MR. OSSIES: DPSF staff would like to call  
12 the gas sales forecasting panel to the stand.

13 ALJ BIELAWSKI: Can you stand, please, and  
14 raise your right hand. Do you swear or affirm that  
15 the testimony you are about to give will be the  
16 truth, the whole truth and nothing but the truth?

17 MR. SRIRANGARAM SESHADRI: I do.

18 ALJ BIELAWSKI: And do you also adopt your  
19 prefiled testimony as your sworn testimony in these  
20 proceedings?

21 MR. SESHADRI: Yes.

22 ALJ BIELAWSKI: Thank you.

23 MR. OSSIES: Your Honor, to the gas sales  
24 forecasting panel, staff's gas forecasting panel have  
25 some minor corrections to the testimony that was

1 previously filed. With that, the panel is available  
2 for cross examination.

3 ALJ AGRESTA: Thank you. The only cross I  
4 have on the schedule is Con Edison.

5 MS. KRAYESKE: Hello. My name is Mary  
6 Krayeske. I'm an attorney with Con Edison and I have  
7 a couple of questions for you. How are you guys  
8 today? Staff's gas rate panel proposes that the  
9 company provide incentives to customers to either  
10 remain on interruptible service or switch to  
11 interruptible service, correct?

12 MS. LILIYA RANDT: Could you repeat the  
13 question, please?

14 MS. KRAYESKE: The staff gas rate panel.

15 MS. RANDT: Yes.

16 MS. KRAYESKE: Proposes that the company  
17 provide incentives to customers to either, so that  
18 those customers either remain on interruptible  
19 service or they switch to interruptible service,  
20 correct?

21 MS. RANDT: Can you point me to the line?

22 MS. KRAYESKE: It's on page 28 of staff's  
23 gas rate panel testimony. If you'd like, I can get  
24 it for you.

25 MS. RANDT: Yes, please. Yes, I can see



1           that.

2                   MS. KRAYESKE: This proposal is designed to  
3           result in fewer customers than would otherwise be  
4           taking firm service--be taking gas firm service,  
5           correct?

6                   MS. OSSIES: Your Honor, I'm going to  
7           object to this line of questioning only because this  
8           panel is here for the sales forecast testimony that  
9           was submitted.

10                  ALJ AGRESTA: It sounds like it's  
11           foundational from what she's going to get into with  
12           this panel so I'm going to let it go.

13                  MS. KRAYESKE: And I would note that one of  
14           the members of this panel was on the gas rate, is on  
15           the gas rate panel, so...

16                  MS. RANDT: We did not state a specific  
17           main - - .

18                  MS. KRAYESKE: I'm sorry. Can you--

19                  ALJ AGRESTA: You have to talk really loud.

20                  MS. RANDT: We did not state in our aspect  
21           gas rate - - specifically - - .

22                  MS. KRAYESKE: If customers moved to  
23           interruptible from firm, you're going to have fewer  
24           firm customers, correct?

25                  MS. RANDT: That's correct.

1 MS. KRAYESKE: And if you have fewer firm  
2 customers, you'd have less firm usage, correct?

3 MS. RANDT: That's correct.

4 MR. KRAYESKE: Can you explain to me how  
5 the change in your approach, wanting to move more  
6 customers to interruptible, is reflected in your gas  
7 sales forecast for firm usage and firm customers for  
8 the rating?

9 MS. RANDT: We didn't expect this change.

10 MS. KRAYESKE: Turning now to SC2 rate one,  
11 those customers are non-heating customers, correct?

12 MR. SESHADRI: I'm sorry, can you repeat  
13 the question?

14 MS. KRAYESKE: SC2 rate one customers,  
15 they're non-heating customers, correct?

16 MR. OSSIES: Actually the counsel has - -  
17 question.

18 MS. KRAYESKE: I'm sorry, what did you say?

19 MR. OSSIES: I just didn't hear the  
20 question. I was asking him to repeat it.

21 MS. KRAYESKE: Okay.

22 MR. SESHADRI: Based on what's in the  
23 company's tariff, I have SC2 rate one as general.

24 MS. KRAYESKE: Right, they're non-heating  
25 customers, correct?

1 MS. RANDT: Yes, that's correct.

2 MS. KRAYESKE: Yes? And this class does  
3 not include four to six conversion customers,  
4 correct?

5 MR. SESHADRI: Yes.

6 MS. KRAYESKE: In staff's model for SC2  
7 rate one customers, you forecast the number of 30-day  
8 bills for the rate year to be 750,984, correct?

9 MS. OSSIES: Could you provide a line or a  
10 page number for their reference?

11 MS. KRAYESKE: Sure. I can provide them  
12 with stats from their work papers. I'll provide them  
13 with - - lines. Would you like me to point out  
14 exactly where it is? Of course, I can no longer read  
15 it as I'm getting older, but if you go to the bottom  
16 of the, 1, 2, 3, 4, 5, 6, 7--the bottom of the 11th  
17 column, it's in gray. And it says, the last number  
18 there says 757 I think 984. I can't really read it.

19 Now for 2010--

20 ALJ AGRESTA: [Interposing] Hold on. If  
21 you're going to say yes, you have to actually say  
22 yes. You can't just shake your head.

23 MS. RANDT: Yes, that's correct.

24 MR. SESHADRI: Yes.

25 L I L I Y A R A N D T and S R I R A N G A

1 R A M S E S H A D R I, having been first duly sworn,  
2 testified as follows:

3 CROSS-EXAMINATION

4 BY MS. MARY KRAYESKE

5 Q: For 2010, the company's total number of 30-day  
6 bills for SC2 rate one customers was 734,287, correct?  
7 And I think that number is also down on that sheet as  
8 well.

9 MR. SESHADRI: Yes.

10 Q: Okay. And for 2012, the company's total number  
11 of 30-day bills for SC2 rate 1 customers was 740,619,  
12 correct?

13 MR. SESHADRI: Yes.

14 Q: So basically, in a two-year period, the company  
15 experienced an increase of 6,332 bills, correct?

16 MR. SESHADRI: Would you repeat that  
17 question, please?

18 Q: So in a two-year period, from 2010 to 2012, the  
19 company experienced an increase of 6,332 bills, correct?

20 MR. SESHADRI: Yes.

21 Q: Okay. And your forecast includes an increase of  
22 17,365 bills, correct?

23 MS. RANDT: Where do you see this number?

24 Q: It's the 757,984 number over the 740,619 number.  
25 It's just the difference--

1 MR. SESHADRI: [Interposing] If the  
2 difference comes out to that be number, yes.

3 Q: Okay. So for this class of customers,  
4 multiplying the 17,365 bills times the RPC factor, that  
5 equates to about \$1.5 million in sales? Correct? Let me  
6 slightly rephrase the question. Is the incremental—the  
7 difference between kind of where we had increase in the  
8 past 2 years of about 6,000 versus the 17,000. That  
9 11,000 customer difference is worth about \$1.5 million?

10 MS. RANDT: It's subject to check, but I  
11 don't - - .

12 Q: Turning now to SC3 greater than 4 dwelling units,  
13 your revised forecast—so this is the forecast that was  
14 revised that was provided last week—shows a bill count of  
15 194,225 in 2014, correct?

16 MS. RANDT: Is it in the papers that you  
17 provided to us?

18 Q: It's the second page of the work papers that I  
19 provided to you.

20 MS. RANDT: Yes.

21 Q: And this class of customers also—these class--  
22 this class—the numbers I've quoted doesn't include any 46  
23 conversions. So it's clean as to 46 conversions, correct?

24 MS. RANDT: What number are talking about?  
25 This is detailed.

1 Q: We're talking about the 183,000--no, that's Con  
2 Edison's number. Their number is--I'm sorry, strike that  
3 for the record.

4 MR. BRIAN OSSIES: Yeah. Mary, I'm having a  
5 hard time following as well on the sheet you handed  
6 out.

7 Q: The--they are bifocal contacts. If you go to 12  
8 columns over, the bottom number in gray, believe it or  
9 not, says 194,225.

10 MS. RANDT: Yes.

11 Q: Okay. And for 2010, the company's total number  
12 of 30-day bills was 183,683, and I believe that is in 1,  
13 2, 3, 4, 5, 6, 7--the 9th column on the bottom.

14 MS. RANDT: I don't know what number you're  
15 talking about.

16 Q: Would you accept that subject to check?

17 MR. OSSIES: Mary, can you actually--I'm  
18 sorry, Your Honor. Could you please be more  
19 specific? 'Cause I'm trying to find--

20 MS. MARY KRAYESKE: [Interposing] Okay. I'm  
21 sorry. I just cited the wrong--

22 MR. OSSIES: [Interposing] I just want to  
23 make sure the witness is--

24 MS. KRAYESKE: [Interposing] Right.

25 ALJ AGRESTA: Okay. Okay. Let's everybody

1 just slow down, okay?

2 MS. KRAYESKE: [Interposing] I'm just--

3 ALJ AGRESTA: --try it one more time.

4 Q: Okay. So if you--on the sheet that is on top  
5 that says SC3, if you go over 1--if you go over to the  
6 11th column, the first number in that column is 183,683,  
7 which is a compilation of the bill count for the company's  
8 total number of 30-day bills for 2010 for SC3 greater than  
9 4 dwelling units.

10 MS. RANDT: It's the 183,683? This is the  
11 number that you're talking--

12 Q: [Interposing] One eighty-three six eighty-three,  
13 yes.

14 MS. RANDT: Okay.

15 Q: Okay. Then for 2012, would you accept, subject  
16 to check, that the company's total number of 30-day bills  
17 was 188,772? And you can find that three columns over the  
18 first number, which compiles the 2012 numbers.

19 MS. RANDT: Subject to check.

20 Q: Right. So the company's bills increased by about  
21 5,089 bills, correct? So--

22 MS. RANDT: [Interposing] this is what the  
23 paper shows.

24 Q: Okay. Now, staff forecast is--forecasts an  
25 increase of 364 bills, correct?

1 MS. RANDT: Which--point me or show me  
2 where is it?

3 Q: Okay. So it's--again, it's taking the staff  
4 number that we talked about earlier, which was 194,225,  
5 from the company's total as of 2012, which was 188,772.

6 MS. RANDT: So this is the difference  
7 between what?

8 Q: So basically, the calculation that we did here  
9 was we looked at the amount of bills that had increased  
10 between 2012 and 2010, and we subtracted that out and that  
11 was 5,000. And then your number was 194,000. So we  
12 subtracted the 5,089 from the 194,225 to find out how  
13 much--how many more bills was in your forecast versus our  
14 forecast.

15 MS. RANDT: For what year?

16 Q: For 2014.

17 MS. RANDT: So you wanted to know how many  
18 bills did--

19 Q: [Interposing] how many bills did staff forecasted  
20 above what the company forecasted.

21 MS. RANDT: Okay.

22 Q: And would you accept subject to check that's  
23 about 365 bills?

24 MS. RANDT: I would accept subject to  
25 check.



1 Q: And the RPC factor for each one of these bills is  
2 about \$1,000 per bill, correct?

3 MS. RANDT: For what year?

4 Q: It's the current RPC factor.

5 MS. RANDT: Okay. Subject to check.

6 Q: Okay. So the difference between the extra 365  
7 bills is about \$350,000, subject to--

8 MS. RANDT: Subject to check.

9 Q: Okay. Now, let's turn to the SC5 dwelling  
10 forecast--less than five dwelling forecast. In developing  
11 your revised forecast, you used 30 months of data, which--  
12 correct?

13 MR. SESHADRI: I'm sorry? Did you say SC5?

14 Q: SC3 less than 5 dwelling units.

15 MR. SESHADRI: Okay.

16 Q: Okay. You used 30 months of data to develop your  
17 forecast, correct?

18 MS. RANDT: That's correct.

19 Q: Okay. And that basically equates to 19  
20 observations of 12 months of rolling data, correct?

21 MS. RANDT: Mary? Would you please repeat  
22 your question?

23 Q: I'll try. Basically, in using 30 months of data,  
24 that equates to 19 observations of a rolling 12 months.  
25 So 12--you took the 12 months and you looked at it 19

1 different times, correct?

2 MR. SESHADRI: Eighteen, actually.

3 Q: Eighteen? Okay. Now, when you did your  
4 regression analysis that yielded a statistical 91% R  
5 square metric, correct?

6 MR. SESHADRI: Yes.

7 Q: Okay. And as a result of this regression, you  
8 had a forecast of 3,381,123 bills for the rate year,  
9 correct?

10 MS. RANDT: Yes.

11 Q: Okay. So hypothetically, if I were to select a  
12 period that used 27 months and 16 observations of 12  
13 months of data, but the data yielded a 99% R squared,  
14 would you say that that might be a better model to use?  
15 And I have an example here to show you if you'd like to  
16 see.

17 MS. RANDT: That's fine.

18 Q: You want to see it?

19 MS. RANDT: Yeah.

20 Q: Okay.

21 MS. RANDT: So how--may I ask, how many  
22 observations you're taking?

23 Q: When I did this hypothetical example? I looked  
24 at 27 months of data, which turned out to be 16  
25 observations of 12-month rolling data.

1 MS. RANDT: To answer to your question, to  
2 arrive at the reasonable number of observation, we  
3 look--looked at the--we try to capture the most  
4 recent data and we--at the same time, we're trying to  
5 achieve the best R squared. So basically, in our  
6 attempt, we looked at each class and we look at the  
7 combination of number of observation and the best R  
8 squared.

9 Q: So your matrix for looking at all of these  
10 forecasts and the observations was R squared?

11 MS. RANDT: No. It's a combination between  
12 the data for each class, the recent data that you  
13 give the balance between the amount of recent data  
14 and the best R squared. We didn't do just the R  
15 squared. We didn't look--we look at that number of  
16 observation, the recent data. And we look at the  
17 data of the class, how it's changed, overall how the  
18 forecast changed.

19 Q: So the example that I've given you provides the  
20 most recent data, just a couple of months shy of what you  
21 did, correct? I looked at 27 months and you guys looked  
22 at 30 months?

23 MS. RANDT: It depends on a class. Each  
24 class have different needs, which was the same data  
25 in the R squared.

1 Q: Right.

2 MS. RANDT: We can pick and choose. We  
3 choose--we chose what we found to be reasonable  
4 numbers. It gave us the comfort level between the R  
5 squared and the number recently.

6 Q: Well, what I've showed you looks at a period of  
7 time, just simply a shorter period of time, correct?

8 MS. RANDT: That's correct.

9 Q: And the R squared on that is actually 99%.

10 MS. RANDT: Subject to check.

11 Q: Okay. Would you say that using a little bit less  
12 data with a higher R squared might be a better model to  
13 use?

14 MS. RANDT: I cannot say this. I didn't  
15 try this question. It was a hypothetical question.

16 Q: Okay. Subject to check, if you looked at--

17 MS. RANDT: [Interposing] I'm not going to  
18 run this. I mean, I have my data, which I support,  
19 and this is not what I presented in my testimony.

20 ALJ AGRESTA: Well, the question doesn't  
21 require you to agree with the results. It's asking  
22 whether using 27 observations instead of 30, but  
23 getting a better R squared is a reasonable or better  
24 way of doing it.

25 MS. RANDT: I think--

1 ALJ AGRESTA: [Interposing] so what's your  
2 professional opinion on that?

3 MS. RANDT: I think it should be, you know,  
4 it could be 15 observations that could give me better  
5 R squared, you know. Between, like, 29 and 30, I  
6 probably would use whatever give me the best R  
7 squared. But if the R square is not that  
8 significant, the difference between the - -  
9 calculation's going to give me the known something, a  
10 chance with the percent. It doesn't match up.

11 Q: So is the difference between the 91% R squared  
12 and 30 months and the 99% R squared pushing 27 months, is  
13 that significant enough to offset keeping 3 months out?

14 MR. OSSIES: You know, Your Honor, the panel  
15 has testified.

16 ALJ AGRESTA: I would like to hear the  
17 answer to that question, which trumps all objections.

18 A: Would you please repeat this question?

19 Q: So this probably isn't the exact question, but  
20 I'm going to do about the best I can to get it to the  
21 exact question. So would you say--would you agree that  
22 looking at a 30-month observation with a 91% R squared and  
23 comparing it to a 27-month observation with a 99% R  
24 squared, that the differences in the R squared is  
25 acceptable enough that the losing 3 months is okay because

1 you have a better R squared? I didn't ask it the exact  
2 same way, but I--

3 ALJ AGRESTA: [Interposing] I think the word  
4 used before was whether it was significant enough.

5 MS. KRAYESKE: Okay. Sorry.

6 ALJ AGRESTA: And then let's make the  
7 question is it significant enough that you would make  
8 such a change?

9 MS. RANDT: I think I accept this. We can  
10 lose three months. The way how we develop our R  
11 squared, we wanted them to be more than 90%. We  
12 tried to achieve R squared over 90%. The reason--

13 ALJ AGRESTA: [Interposing] Okay. So once  
14 it got higher than 90%, then you stopped looking for  
15 new--

16 MS. RANDT: [Interposing] I mean, we did.

17 ALJ AGRESTA: --scenarios?

18 MS. RANDT: We did, but we didn't take data  
19 which is less than 90. We try to achieve, like, 90  
20 and up.

21 ALJ AGRESTA: Okay.

22 MS. RANDT: You know, and whatever it gave  
23 us--the 90 was a comfortable level for us to achieve  
24 an R squared.

25 Q: So you could live with dropping the three months?

1 MS. RANDT: Yes.

2 Q: Okay. So if you did this regression, would you  
3 accept, subject to check, that it would yield a bill  
4 forecast of 26,493 less bills and it would lower the  
5 forecast by 2.2 million for the service class?

6 MS. RANDT: Subject to check.

7 Q: Okay. Do you agree that staff witness--I'm  
8 turning to another area. Do you agree that staff witness  
9 Lu [phonetic] suggested the use of the latest tenure  
10 weather data?

11 MS. RANDT: Yes.

12 Q: And in discovery, the company asked what normal  
13 was used by the Staff Gas Forecasting Panel, correct?

14 MR. SESHADRI: Yes.

15 Q: And your answer, which was in response--which we  
16 provided in Exhibit GFP20--was that staff forecast the  
17 total annual bills for various service classes using a  
18 linear--using linear regression analysis. And you  
19 provided that response in request--in response to Con  
20 Edison's request number 66?

21 MS. RANDT: Do you have it?

22 Q: What?

23 MS. RANDT: Do you have it?

24 Q: Do I have it? I will get it. Just give me ten  
25 seconds.

1 MS. RANDT: Yes, I can see it. Yes.

2 Q: Okay. And at the same time, the company asked  
3 you what time period did the normal cover. And in  
4 response to 67, you basically gave the same answer, which  
5 I can provide, and I'd like to have marked as well.

6 MS. KRAYESKE: Your Honor, I would request  
7 that the response to company question 67 to staff be  
8 marked as Exhibit 797.

9 ALJ AGRESTA: It will be marked Exhibit 797  
10 for identification.

11 Q: And then shortly after you provided this answer,  
12 staff also provided a revised response, correct?

13 MR. SESHADRI: A supplemental.

14 Q: A supplemental response. And that supplemental  
15 response was dated July 8th, 2013, and it included a one-  
16 page--a response to question 66 and 67, which I ask be  
17 marked as Exhibit 798 for identification.

18 ALJ AGRESTA: The one-page supplemental  
19 response to 66 and 67 will be marked 798 for  
20 identification.

21 Q: That--are you guys ready?

22 MS. RANDT: Yeah.

23 Q: Okay. Your revised response to 67 noted that the  
24 normal that you used was the 30 years ended 2011, correct?

25 MS. RANDT: Yes, that's--



1 MR. SESHADRI: [Interposing] Yes.

2 MS. RANDT: --correct.

3 Q: Okay. Now, after submitting these revised  
4 discovery responses on July 8th, you corrected your  
5 forecast on July 17th, correct?

6 MS. RANDT: Yes.

7 Q: And the forecast submitted on July 17th did not  
8 reflect the ten-year normal when you corrected for other  
9 errors, correct?

10 MS. RANDT: That is correct.

11 Q: Now, would you agree that--accept subject to  
12 check that adjusting for the ten-year weather ended 2012  
13 would decrease this--your sales forecast by \$3.8 million?

14 MS. RANDT: Subject to check.

15 Q: I have no further questions.

16 MR. OSSIES: Your Honor, we'd like to take  
17 some time to talk to the witnesses.

18 ALJ AGRESTA: Okay.

19 [OFF THE RECORD]

20 [ON THE RECORD]

21 ALJ AGRESTA: Okay. Let's go back on the  
22 record.

23 MR. OSSIES: Thank you, Your Honor. We do  
24 have some redirect.

25 REDIRECT EXAMINATION

1 BY MR. BRIAN OSSIES

2 Q: I just want to be sure that we're clear, based on  
3 the questions that the company asked the panel. First  
4 question I'd like to ask is, did the rate panel recommend  
5 providing incentives to interruptible customers?

6 MS. RANDT: No, they did not recommend an  
7 incentive. We did not recommend any incentive  
8 payments. We just--they are separate. They don't  
9 testify to the right rate zone.

10 Q: Thank you. And you were asked questions by the  
11 company regarding whether or not your forecast reflected  
12 movement between firm to interruptible customers. Doesn't  
13 your forecast actually reflect customers moving from firm  
14 to interruptible?

15 MS. RANDT: Our forecast projected the  
16 normal--

17 ALJ AGRESTA: [Interposing] Can you speak  
18 louder, please? I can't hear you.

19 MS. RANDT: Our forecast reflected the  
20 movement that was captured in an underlying  
21 historical data.

22 Q: And that was data provided by the company,  
23 correct?

24 MS. RANDT: Yes, that's correct.

25 Q: Thank you. The company asked you questions

1 regarding how your forecast compared to recent 2010, 2012-  
2 -excuse me--2012 actual data. My question is, did the  
3 panel compare your forecast to the most recent actuals  
4 provided by the company from January 2013, to June 2013?

5 MS. RANDT: In response to the company  
6 IR740 number 126140, we received actual number of  
7 bills for January '13, through June 2013, and we  
8 compare it--compare it rolling average of the actual  
9 data to the step sales forecast. And for each class.  
10 And for example, for the SC31, recent actual data  
11 shows higher in the sales forecast and--but it's  
12 trending in the same direction. And for the S2, it  
13 goes along with the staff forecast.

14 Q: And to be clear, this information was provided to  
15 the company--

16 MS. RANDT: [Interposing] Yes.

17 Q: --pursuant to a company interrogatory directed to  
18 staff, correct?

19 MS. RANDT: Yes, that's correct.

20 Q: And that number was set 40, number 126?

21 MS. RANDT: - - 130 - - .

22 Q: I'm sorry?

23 MS. RANDT: It's 126 to 131.

24 Q: Excuse me. 126 to 131.

25 MR. OSSIES: Your Honor, I would ask that we

1 be allowed to provide those responses as part of the  
2 record in this case.

3 MS. KRAYESKE: Your Honor, I object. The  
4 company asked staff some questions and, you know, the  
5 company looked with staff, may or may not have looked  
6 at staff's responses, but for staff to try and get  
7 some discovery responses in at this point, you know,  
8 it is unfair and unreasonable.

9 ALJ AGRESTA: I'm going to sustain the  
10 objection.

11 MR. OSSIES: So there were questions asked  
12 regarding how the actual data was being used and how  
13 the witnesses applied that toward linear regression -  
14 - .

15 ALJ AGRESTA: And the witnesses answered  
16 that--

17 MR. OSSIES: [Interposing] and the company  
18 provided information as part of its update. Staff  
19 was given very little time to analyze. We got the  
20 responses very late. And Your Honor, except to say  
21 that, you know, based on testimony you heard today,  
22 that information could be very beneficial to - - .

23 ALJ AGRESTA: You could have presented it as  
24 a cross-exhibit to the company's panel and you did  
25 not.

1 MR. OSSIES: Well, then I would ask to have  
2 time to have additional cross-examination for the  
3 company's panel.

4 ALJ AGRESTA: No.

5 MS. KRAYESKE: And, Your Honor, I would also  
6 ask that--there's a lot of testifying going on so,  
7 you know, that that be considered.

8 ALJ AGRESTA: Well, and he can talk a lot,  
9 but that doesn't make it testimony, okay?

10 Q: Panel, you were presented with a hypothetical - -  
11 SC11, and you agreed to the hypothetical, but are you  
12 agreeing to a change in your forecasted position?

13 MS. RANDT: No, we do not agree to the  
14 change of our forecast.

15 Q: Thank you.

16 MR. OSSIES: I have no further questions.

17 MS. KRAYESKE: Just one quick question. I'm  
18 sorry.

19 RE-CROSS EXAMINATION

20 BY MS. MARY KRAYESKE

21 Q: A trend over six months doesn't necessarily  
22 equate to a trend over two, three, four years. It's just  
23 a six-month snapshot, correct?

24 MS. RANDT: It's a hypothetical question.

25 Q: No, it's not a hypothetical question. It's a

1 question.

2 MS. RANDT: Would you repeat it, please?

3 Q: A trend over six months doesn't necessarily make-  
4 -the past in a trend isn't necessarily a prologue to what  
5 the future's going to be, correct?

6 MS. RANDT: I think it depends on the  
7 class. Some have a cycle, some--it's a different  
8 trend for each class, and I have to look at each  
9 individual class alone to make this conclusion.

10 Q: And it can go up and down?

11 MS. RANDT: That's right.

12 Q: Okay.

13 MS. KRAYESKE: Nothing further. Thank you.

14 ALJ AGRESTA: Anything else, staff?

15 MR. OSSIES: No, Your Honor.

16 ALJ AGRESTA: Okay. These witnesses are  
17 excused, thank you. Okay. At this time, I'm going  
18 to mark for identification the witness affidavit of  
19 James Fine. That will be Exhibit 799 for  
20 identification. And--

21 MS. KRAYESKE: [Interposing] Your Honor, is  
22 this the--in lieu of Mr. Barney [phonetic]  
23 testifying, we were going to mark some exhibits. So  
24 would this be the appropriate time to do that?

25 ALJ AGRESTA: If you have them ready.

1 MS. KRAYESKE: Of course I do.

2 MR. DARIN LECAKES: Your Honor, 799 was the  
3 witness affidavit of which witness? I'm sorry.

4 ALJ AGRESTA: James Fine.

5 MR. LECAKES: Thank you.

6 MS. KRAYESKE: Your Honor, I would request  
7 that Exhibit Number 800 would be a six-page document,  
8 which provides some discovery responses to--from Fred  
9 Barney to the company and some other documents. The  
10 staff has agreed to allow into the record. So it's a  
11 six-page document. The first page, it says it's the  
12 response to question 78 from Fred Barney to the  
13 company.

14 ALJ AGRESTA: Thank you. That'll be marked  
15 Exhibit 800 for identification.

16 MS. KRAYESKE: Thank you, Your Honor.

17 ALJ AGRESTA: Okay. Let's go to the next  
18 witness. Con Edison, please call your next witness.

19 MR. MARC RICHTER: Your Honor, the company  
20 calls Mr. Ivan Kimball.

21 ALJ BIELAWSKI: Raise your right hand,  
22 please. Do you swear or affirm that the testimony  
23 you're about to give is the truth, the whole truth,  
24 and nothing but the truth?

25 MR. IVAN KIMBALL: Yes.

1 ALJ BIELAWSKI: And do you also adopt your  
2 pre-trial testimony as your sworn testimony in these  
3 proceedings?

4 MR. KIMBALL: Yes.

5 ALJ BIELAWSKI: Thank you.

6 ALJ AGRESTA: Is Mr. Kimball available for  
7 cross at this point?

8 MR. RICHTER: Yes, he is, Your Honor.

9 ALJ AGRESTA: Okay. I have Environmental  
10 Defense Fund down as the next party up.

11 MR. RICHTER: Thank you.

12 ALJ AGRESTA: If you could repeat your name,  
13 sir.

14 MR. JAMES TRIPP: Yeah.

15 I V A N K I M B A L L, having been first  
16 duly sworn, testified as follows:

17 CROSS-EXAMINATION

18 BY MR. JAMES TRIPP

19 Q: Mr. Kimball, my name is James Tripp, T-R-I-P-P.  
20 I'm counsel for the Environmental Defense Fund. Just have  
21 a few questions. In your testimony, you talked about  
22 various actions that you take to acquire both capacity and  
23 energy at reasonable prices. Is that correct?

24 A: Yes.

25 Q: Yeah. And your exhibits, as I read them, you



1 presented in your first exhibit total cost to purchase  
2 power during those years and then you have projections for  
3 those costs in the future. Is that right?

4 A: Yes.

5 Q: And do you make any separate projections about  
6 the cost of energy or capacity during higher demand  
7 periods, peak periods, say, during the summer, than you do  
8 during non-peak periods?

9 A: Can you clarify that in terms of what specific  
10 projections you mean?

11 Q: Well, there are times of the year, particularly  
12 during the summer, hotter periods during the summer when  
13 the total demand for power goes up. What do you do to  
14 make sure that there is sufficient power in the system to  
15 meet demand during higher-demand days, such as we had last  
16 week?

17 A: Well, our responsibility in energy management is  
18 to supply power for the full service customers. So the  
19 reliability requirement is part of the New York ISO  
20 responsibility, in terms of making sure there's sufficient  
21 supply to meet total demand in New York State.

22 Q: By full service customers, you mean commercial  
23 and residential?

24 A: Yes. The customers that get their supply from  
25 Con Edison, as opposed to the other customers that get

1       their supply from retail suppliers.

2           Q:   So just in general, during high-demand days, such  
3       as last week, for your full service customers, do you pay  
4       more for power than you do during other periods of the  
5       year?

6           A:   For portions of our supply, the prices vary  
7       hourly. Are you speaking specifically of the New York ISO  
8       purchases?

9           Q:   For example, yes.

10          A:   For example. So those market purchases, the  
11       prices vary every hour of the year. And typically, they  
12       respond to supply-and-demand criteria so that when demand  
13       is higher, prices are higher, yes.

14          Q:   And are the differences in prices demand  
15       increases on a hot day, the increases in price very small,  
16       modest, significant?

17          A:   Relative to what? Can you clarify that a little?

18          Q:   Relative to the prices that you would pay NYISO  
19       purchases during non-peak periods.

20          A:   They--the pricing for the NYISO market is public,  
21       and it does vary, yes. I don't know how to characterize--  
22       what you would characterize as significant and exactly  
23       which timeframe you're speaking of so it's hard for me to  
24       exactly talk specific numbers, if you would like, but the  
25       number--

1           Q: [Interposing] But based on your experience, maybe  
2 you can't answer this, but on--when you have a stretch of  
3 hot weather and demand really escalates, how much more do  
4 you pay for the power that you're purchasing?  
5 Particularly stock market purchases during that period of  
6 time compared to non-peak purchase.

7           A: Well, there are a number of factors that go into  
8 the customer costs. So the market price is one of those.  
9 We also have a hedging program that mitigates some of the  
10 costs for customers, a financial hedging program that I  
11 speak of there, and are also reflected in the exhibits.  
12 We have some supplies from our existing or own company-  
13 owned resources that don't necessarily vary when demand  
14 goes up, in terms of price, based on our fuel costs.  
15 Similarly, our purchases from our non-utility generators,  
16 those costs don't necessarily vary on an hourly basis.  
17 It's tied more closely to the fuel. So there is a portion  
18 of our New York ISO market purchases that the customers do  
19 pay a significantly higher price for that energy. You  
20 referenced last week. During those peak periods, the  
21 real-time pricing in that some of those peak hours was  
22 approximately \$500 per megawatt hour. In the day-ahead  
23 market, it was typically less than that, but the prices do  
24 go much higher than what we see on a typical summer day  
25 like today, maybe \$100 a megawatt hour.

1           Q: And can you give it on a, what you call more  
2 normal summer day like today, what portion of total power  
3 supplied to your firm customers comes through the NYISO  
4 process?

5           A: I would say approximately 50%, maybe a little  
6 more. So maybe 60--50-60% of our purchases on a normal  
7 summer day are New York ISO purchases. And a portion of  
8 those would be hedged in financial positions that would  
9 mitigate that price difference in the key periods.

10          Q: And during a period like last week where you have  
11 prolonged high temperatures, would that percentage be  
12 higher than the 50 or 60% you just mentioned?

13          A: That would depend on the resource availability.  
14 So there would be different numbers, obviously, but would  
15 depend on whether or not our other resources were at the  
16 same level today as they were last week. If the resources  
17 were dispatched higher during that period, then the  
18 percentage may not go up. But if those are held constant  
19 then, yes, our demand is higher and that percentage would  
20 be higher.

21          Q: Page 23 of your testimony, you talk about the  
22 cost with demand response. Can you tell us what you mean  
23 by that? These are purchases that you make from entities  
24 that do what, guarantee your reduction in demand for some  
25 period of time?

1           A: I believe in this particular reference, I'm  
2 speaking of the New York ISO program, and this is under  
3 the section where I talk about some of our advocacy to  
4 make sure that we're trying to participate in the market  
5 rules, process, and at ORCA [phonetic] discussions to  
6 advocate for customer positions to make sure that we're  
7 managing customer costs. And what we're talking about  
8 here is the rules to determine how much demand response  
9 gets paid when they activate.

10           Q: Do you view--can you just tell us what you mean  
11 by demand response in this context? What do you--do you  
12 pay--what are you getting?

13           A: In demand response, we would be expecting to get  
14 a reduction in customer demand in response to either a  
15 signal or a communication in advance of the period that  
16 we're looking for the reduction in customer demand.

17           Q: And do you pay for some unit of demand response  
18 really--withdraw that. Are you, in general, interested in  
19 the cost of demand response or purchasing some unit of  
20 demand response during periods of higher demand or peak  
21 demand? Or is this something you think about year-round?

22           A: I would say predominantly during the higher peak  
23 periods that would be the most beneficial. That's when  
24 the supply-and-demand ratio is closest and we'd expect the  
25 biggest benefit for reducing demand at periods, yes.

1 Q: And what do you mean by benefit in that context?  
2 Is this a cost benefit to Con Edison or to the system or  
3 what? What's the benefit?

4 A: Yes, there is definitely a benefit to Con Edison  
5 for managing peak demand because it reduces the stress on  
6 the system as a whole and individual--can do the same for  
7 individual networks within the system to manage that peak  
8 demand.

9 Q: And when you purchase some amount of demand, what  
10 you call demand response, you purchase that from a--from  
11 who? What kind of an entity?

12 A: So there are two different programs. I believe  
13 the one that we're talking about here, the NYISO demand  
14 response is the New York ISO has a demand response  
15 program. And Con Edison also has a specific customer  
16 demand response programs where they compensate individual  
17 customers for participating in programs to reduce their  
18 demand.

19 Q: Okay. Let's first of all talk about the NYISO  
20 program. You just--from your point of view, just purchase  
21 it from NYISO or do you purchase it from a particular  
22 entity, which is offering some amount of demand response?

23 A: No. We don't purchase demand response from the  
24 New York ISO. They have a market-based program where  
25 customers who sign up for New York ISO demand response are

1 compensated through a capacity market, New York ISO.

2 Q: And from your point of view, trying to satisfy  
3 all your customers, is the, you know, the value of  
4 purchasing some amount of demand response comparable to  
5 going to someone who's actually generating power and  
6 offering that on the stock market? Are the values the  
7 same? In other words, do you look at the demand response  
8 from a cost point of view the same market context as you  
9 do for actual purchasing of power?

10 A: I'm a little confused about whether that  
11 perspective is the market perspective or the company  
12 perspective. So maybe can you just clarify that?

13 Q: Well, say first of all from the company's point  
14 of view.

15 A: So from the company's point of view, it costs us  
16 less to provide nothing than it does to provide energy.  
17 So demand response is going to cost less for the company  
18 to provide that than if there were no demand response.  
19 Especially if the customers participating in the New York  
20 ISO demand response program and they're compensated  
21 through the markets, the company is not providing and  
22 servicing that case and there's really no cost to the  
23 company for that. So compared to purchasing generation to  
24 meet the demand that would have been there, yes, demand  
25 response is more cost effective than purchasing to meet

1       that supply.

2           Q:   What about from the market point of view?

3           A:   Can you just clarify your question about the  
4       market point of view then?

5           Q:   Well, few minutes ago, you said there were sort  
6       of two ways of looking at the comparable value of demand  
7       response in terms of actually purchasing power, from the  
8       company's point of view and I thought you said from the  
9       market's point of view. So you told us the company  
10      perspective so--

11          A:   [Interposing] So just in general, a market  
12      perspective on demand response? I think that there would  
13      be generators or suppliers in the market that would be  
14      concerned that during peak periods when the prices would  
15      rise, if providers of demand response were allowed to or  
16      were compensated in the market for providing demand  
17      response and reducing demand, and that reduced the price  
18      of energy at the time, then the generators would argue  
19      that that may not be good for markets when there's high  
20      demand on the system if the price isn't reflecting that  
21      there's high demand. And what we saw last week, with the  
22      new rules in New York ISO is that scarcity pricing  
23      mechanism forces those prices to, as I mentioned, \$500 a  
24      megawatt hour and reflects that high-demand scenario,  
25      which provides the signal to the market, which I think the



1 generators would be happy with, in terms of providing the  
2 appropriate market signals for the peak period pricing.

3 Q: Well, when you--go back and refresh my--I think I  
4 began to ask earlier. When you--in the NYISO market, when  
5 you purchase some amount of demand response, are you--is  
6 this from a specific entity that's gone out there,  
7 aggregated reductions in demand from a number of different  
8 consumers?

9 A: So again, we don't purchase through an ISO  
10 program. The New York ISO administers that program for  
11 the demand response providers. I can't speak to  
12 aggregators or large buildings or providers that are  
13 signed up on that program with an ISO. It's likely that  
14 somebody aggregates buildings to do that, but I don't  
15 know.

16 Q: But is it your assumption when you actually go  
17 out there through NYISO and purchase some amount of demand  
18 response that your customers here in New York City are  
19 reducing their demand for power by that amount so that  
20 you're not going to have to supply that power to regular  
21 power purchases?

22 A: I'm not sure that the question accurately  
23 reflects how the resources are committed and who is  
24 responsible for acquiring demand response. So I don't  
25 know if you can maybe clarify your understanding of that,

1 but I don't think it reflects how it works in the market.  
2 An ISO has a program and they are able to notify customers  
3 that have signed up through demand response when they want  
4 those customers to produce their demand. Con Edison's not  
5 involved in that part of the program.

6 Q: You also mentioned that Con Edison has its own  
7 in-house demand response program. Is that right?

8 A: That's correct.

9 Q: Okay. Is this exclusively with commercial  
10 customers or also some residential customers?

11 A: I believe we have two programs, one that is  
12 involved with the commercial customers and also one with  
13 residential customers, yes.

14 Q: And would the commercial customer program, these  
15 customers agree when you request that they not consume  
16 power or they reduce their consumption of power on a high-  
17 demand day? How does that work? What do you do?

18 A: So my group doesn't actually implement that  
19 program so I don't know the real details behind the actual  
20 implementation. But I do know that customers sign up and  
21 they get compensated for how much they can reduce and  
22 there is a notification process for when the company would  
23 like them to reduce their demand.

24 Q: And do those customers get paid somehow for doing  
25 that?

1           A:    Yes.  There's a tariff rate for compensation for  
2 those customers.

3           Q:    Is that something you negotiate or someone else?

4           A:    That's not in my group.

5           Q:    And in general, is, you know, would Con Edison  
6 invoke a demand response agreement with a customer when  
7 the cost of exercising that contract would be less than  
8 the cost of you going out to the stock market and buying  
9 additional power to furnish that customer?

10          A:    I believe that the process for notification for  
11 those customers is not determined based on the market  
12 price or projection of the market price, but is more  
13 dependent on network load or customer demand.  So it's an  
14 independent assessment, I would say not performed in my  
15 group.

16          Q:    On another topic that you covered, on Page 32 of  
17 your testimony, you talk about changing lost and  
18 unaccounted-for gas calculations for power generation  
19 customers.

20          A:    That's correct.

21          Q:    Okay.  And you're proposing a change from, as I  
22 understand it, from the current level of 0.1% to 0.5%?

23               MR. RICHTER:  Your Honor, if I may, I think  
24 what Mr. Kimball testified to is the impact of the  
25 proposal made by the company's cast [phonetic]

1 witness in terms of a change to the LAUF as opposed  
2 to the gas LAUF proposal itself.

3 ALJ AGRESTA: I didn't hear anything more  
4 than a foundational question yet so--we're on Page 32  
5 of the testimony, is that right?

6 MR. TRIPP: Yes.

7 ALJ AGRESTA: I'm sorry. Could you try the  
8 question one more time?

9 Q: Whether you note a change from 0.1 to 0.5, from  
10 your point of view, what's the implication?

11 A: Right. I believe that's what the testimony is,  
12 is the impact to the customer's cost for the assumed  
13 increase to generators' costs and a calculation that would  
14 flow, expecting that increased cost to flow through the  
15 New York ISO electric market pricing and part of the cost  
16 that customers would pay.

17 MR. TRIPP: No further questions. Thank  
18 you.

19 ALJ AGRESTA: Okay. New York Energy  
20 Consumers Counsel?

21 MR. GEORGE DIAMANTOPOULOS: Thank you, Your  
22 Honor. I just have one interrogatory for Mr.  
23 Kimball.

24 CROSS-EXAMINATION

25 BY MR. GEORGE DIAMANTOPOULOS

1 Q: Good morning--or actually, good afternoon, Mr.  
2 Kimball.

3 A: Good afternoon.

4 Q: Mr. Kimball--

5 MR. DIAMANTOPOULOS: Oh, Your Honor, this be  
6 marked as 801 for identification?

7 ALJ AGRESTA: Why don't you ask him first if  
8 he prepared them under his direction and then we'll  
9 mark it.

10 MR. DIAMANTOPOULOS: Okay.

11 Q: Mr. Kimball, show you what has been--well,  
12 actually, it hasn't been marked yet, but this is an  
13 interrogatory request by NYECC, number 4 in set 1,  
14 originally posed to Con Edison witness Mosillo [phonetic].  
15 And I believe it was responded--you responded on his  
16 behalf, on behalf to the company. Is that correct?

17 A: Yes.

18 Q: And referring you to your response to 4B and the  
19 attached table provided in this response, which is on the  
20 third page, had the company estimates changed since this  
21 response was provided?

22 ALJ AGRESTA: Okay. Hold on. After you  
23 asked him the first--this is the little dance we have  
24 to do. You prepared this response? The answer is  
25 yes. Okay. So it'll now be marked Exhibit 801 for

1 identification, okay? And now you may ask your  
2 questions.

3 MR. DIAMANTOPOULOS: Thank you.

4 Q: So referring you to Exhibit 801 for  
5 identification, and referring your attention to Section 4B  
6 of that response and the attached table, which is on Page  
7 3, had the company estimates, as reflected in the last two  
8 columns of the table on Page 3, have those changed since  
9 this response was provided, I believe in February? And if  
10 so, what are the company's updated estimates for those  
11 last two columns on the right?

12 A: We did not do an updated estimate.

13 Q: You did not. Do you have any other changes to  
14 this company response?

15 A: Not at this time.

16 MR. DIAMANTOPOULOS: Your Honor, I have no  
17 further questions.

18 ALJ AGRESTA: Thank you. Does Con Edison  
19 have any redirect?

20 MR. RICHTER: Your Honor, we have no  
21 redirect.

22 ALJ AGRESTA: Thank you. Witness is  
23 excused. Thank you for your testimony.

24 MR. KIMBALL: Thank you.

25 ALJ AGRESTA: I think we're going to take

1           one more witness then we're probably going to take a  
2           lunch break.

3                     MR. RICHTER:   Company calls Mr. Peter  
4           Carnavos.

5                     ALJ BIELAWSKI:   Do you swear or affirm that  
6           the testimony you're about to give will be the truth,  
7           the whole truth, and nothing but the truth?

8                     MR. PETER CARNAVOS:   Yes.

9                     ALJ BIELAWSKI:   And do you adopt your pre-  
10          trial testimony as your sworn testimony in these  
11          proceedings?

12                    MR. CARNAVOS:   Yes, I do.

13                    ALJ BIELAWSKI:   Thank you.

14                    MR. RICHTER:   Your Honor, the witness is  
15          available for cross-examination.

16                    ALJ AGRESTA:   Thank you.

17                    MR. CARNAVOS:   Good afternoon.

18                    ALJ AGRESTA:   Environmental defense fund, I  
19          have down for ten minutes.

20                    MR. TRIPP:   Thank you.

21                    P E T E R   C A R N A V O S, having been  
22          first duly sworn, testified as follows:

23          CROSS-EXAMINATION

24          BY MR. JAMES TRIPP

25                    Q:   My name is James Tripp.   I'm counsel for the

1 Environmental Defense Fund. I just have a few questions  
2 about what you had to say Pages 42, 46 of your testimony  
3 about lost and unaccounted-for gas. As I understand it,  
4 you're adopting a somewhat modified procedure for  
5 calculating the amount of gas that's lost in the  
6 distribution system. Is that correct?

7 A: The company's proposal is a total improvement  
8 method, some modifications, which is consistent with the  
9 whitepaper guidelines that was divided by DPS staff in  
10 these proceedings and attached to their direct testimony.

11 Q: And the proposal is to increase the amount that  
12 is unaccounted for or gets lost from 0.1 to 0.5%?

13 A: You want to give me a specific reference where  
14 you're making that observation, sir?

15 Q: Well, I'm looking at Page 43.

16 A: Okay. The proposal we're making here provides an  
17 attribution to generators, as we define generators in this  
18 context, to increase the current 0.1 factor to 0.5 under  
19 this proposal.

20 Q: And do you, I mean, are you the person at Con  
21 Edison who came up with or developed the 0.5% proposal?

22 A: I am sponsoring that proposal, yes.

23 Q: And is this increase from 0.1 to 0.5% based on  
24 any measured data that you may have of actual--let me  
25 withdraw that. I take it that there are two or three



1 different factors that you look to, to account for this  
2 loss, such as theft maybe as a possibility?

3 A: Okay.

4 Q: Okay. What about leaks from the system?

5 A: Leaks are obviously a component of the total line  
6 loss that we're developing here, yes.

7 Q: And do you have any idea what portion of the 0.5%  
8 loss that you're talking about is due to leaks from the  
9 system?

10 A: As I propose in my testimony--bring you back to  
11 the page you pointed to--I describe how we develop the  
12 0.5%, which begins with what we can identify, which is  
13 0.1% heat or fuel, and compressor fuel, 0.1% is attributed  
14 to meter inaccuracies that have been measured.  
15 Differential between 0.2 and 0.3 is a contribution to the  
16 unknown factors, which might include what you're  
17 describing as leaks as part of that.

18 Q: So insofar as you attribute any of this to leaks,  
19 do you have any measured data of leakage from the natural  
20 gas distribution system to support this higher loss  
21 number?

22 A: I--in my possession, I do not. I believe the  
23 information you might be seeking related to the system, I  
24 think that would be addressed by the Gas Operations  
25 Infrastructure Panel.

1 MR. TRIPP: I have no further questions.

2 ALJ AGRESTA: Okay. Astoria Generating, I  
3 have down for ten minutes.

4 CROSS-EXAMINATION

5 BY MR. DAVID JOHNSON

6 Q: Good afternoon. My name is David Johnson. I'm  
7 counsel to Astoria Generating Company.

8 A: Good afternoon.

9 Q: Could you please turn to Page 6 of your rebuttal  
10 testimony? On Lines 11 through 17, you testified that the  
11 intent of the collaborative was to allow for a more  
12 comprehensive technical review of the specific issues,  
13 while still allowing the company to potentially make  
14 incremental improvements to its transportation program as  
15 it is currently doing so through its normal collaborative  
16 process. What do you mean by normal collaborative  
17 process?

18 A: The company engages in an ongoing dialogue with  
19 the market participants, which includes as marketers and  
20 its generating customers. So therefore, we continue to  
21 discuss issues of concern that may be raised related to  
22 how we provide services. And we obviously want the input  
23 of that community in terms of how we evaluate proposed  
24 changes or suggested alternatives to how we're currently  
25 doing business with each other.

1           Q:   Has Con Edison contacted power generators to  
2 participate in the market collaborative?

3           A:   The market collaborative you're referring to  
4 here, we maintain two separate groups. One is the market  
5 collaborative, which is specifically the retail market to  
6 serve gas customers. And we have an ongoing conversation  
7 with our generating customers as part of the current gas--  
8 New York ISO Gas Electric Board - - initiative; we've been  
9 discussing things with our generators. We plan to have  
10 more formal meetings that relate to certain issues that  
11 have gotten raised in that New York ISO collaborative over  
12 the course of the summer. We've already made contact with  
13 these generators to do something.

14          Q:   Okay. So when you make this recommendation that  
15 staff's proposal be addressed in the marketer  
16 collaborative, then you weren't intending that power  
17 generators be included in those discussions?

18          A:   I was viewing it more broadly. I mean, obviously  
19 if we can do it as one meeting, that's preferable to both  
20 parties. I was wanting to maintain focus, which meant  
21 that I probably would suggest we did it with the  
22 generators' community, which is a smaller group. We have  
23 over 80 marketers participating in Con Edison gas service  
24 territory, which represent a range of market participants.  
25 And we have a handful of generators. So depending on

1 interested parties, we can either do it as one meeting, do  
2 it as multiple meetings or separate meetings. There's no  
3 predetermined view related to how that would go forward.  
4 It would be a function of the issues that people want to  
5 discuss the best way to proceed in a positive way.

6 Q: Okay. And the issue of the change in the dead  
7 bands and the cash-outs, has that already--has discussions  
8 already started on that or is that something--

9 A: [Interposing] No. No, sir. Because we didn't  
10 initiate that proposal, as you know. That was a staff  
11 proposal. We were responding to staff's proposal in this  
12 context.

13 Q: Okay. And then in your recommendation, you  
14 testified that your recommendations on all the balancing  
15 services it was impacting interruptible customers you  
16 pursued a market collaborative. How do you define  
17 interruptible customers? That's--

18 A: [Interposing] I guess as we just discussed, I  
19 would view it more broadly than maybe I would--

20 Q: [Interposing] So that would include power  
21 generators?

22 A: I'm sorry. I would view it more broadly than how  
23 it's narrowly written here. It was written specifically  
24 related to the existing market collaborative under the  
25 presumptions that we could initiate a dialogue with the

1 generators. So obviously--

2 Q: [Interposing] Okay. So your--just to be clear,  
3 your recommendation is, is that the staff proposal with  
4 respect to changing the dead bands and increasing cash-  
5 outs, that that should be addressed with the power  
6 generators as part of the market collaborative?

7 A: If that's the best way to do it, as I described.

8 Q: Okay.

9 A: I'm suggesting that having a dialogue before any  
10 change is made is the first preference.

11 Q: Are there any power generators currently taking  
12 service under SC9 that don't have a contract with Con  
13 Edison?

14 A: There are generators that take service of SC9,  
15 and the negotiated agreements have power of days, balance  
16 and services.

17 Q: Okay. So they'd be--they would be--if staff's  
18 proposal went into effect, let's say, January 1<sup>st</sup>, they  
19 would immediately be subject to those provisions? Or  
20 would their contracts provide something different?

21 A: There's a range of outcomes.

22 Q: There's a what?

23 A: There's some--there's a range of outcomes. Some  
24 would be affected. Those that are on--currently have  
25 negotiated agreements, that have provisions that provide

1 for them, balance of service, and - - of - -, as you  
2 indicated, the Commission determines that this change goes  
3 into effect as part of this rate agreement. That would be  
4 effective beginning January 1<sup>st</sup>. There are others that  
5 have negotiated agreements, which are confidential. But  
6 generally speaking, we'd have terms that could be  
7 effective on a prospective basis, depending on how the  
8 Commission acts on this proposal. I can't tell you all  
9 possible combinations of how this gets resolved at this  
10 proceeding.

11 Q: Okay. And can you give a guesstimate of what you  
12 think the timing would be if the Commission accepted your  
13 proposal to first discuss this with--in the market  
14 collaborative with power generators? How long do you  
15 think that process would take?

16 A: I would be speculating at this point how long  
17 that conversation would take. I mean, it'd be a function  
18 of what other related issues may be discussed and how that  
19 may impact the implementation. You're asking me to  
20 speculate about what will be, you know, certified by the  
21 Commission related to how they would like this issue  
22 address, whether they establish a timeframe to implement  
23 something, whether they give us total latitude to work  
24 through something that is mutually agreeable and allow us  
25 to implement that or not implement it at any point of

1 time. You know, there's a whole number of outcomes and  
2 I'd be, you know, reaching in that point to determine how  
3 that would be resolved.

4 Q: Now, do you personally participate in these  
5 meetings?

6 A: Yes, I do. I'm the responsible person for Con  
7 Edison related to the gas supply department that interacts  
8 with the marketers and the generators. Yes, that is under  
9 my responsibility.

10 Q: Okay. And could one of the issues that would be  
11 discussed be programs to help customers mitigate  
12 imbalances?

13 A: Programs to help customers mitigate imbalance?  
14 Is there--any, you know, idea that has merit would  
15 obviously be allowed to be discussed. So I can't  
16 speculate about what you mean by programs to mitigate  
17 imbalances by customers.

18 Q: Well, I mean, like, aggregation programs or, you  
19 know, imbalance trading programs.

20 A: We already have those today for power generators  
21 in the Con Ed system. We allow marketers--generators--I'm  
22 sorry--specifically who have multiple locations within Con  
23 Edison's service territory, physical plants in separate  
24 locations, Con Ed's gas service territory, to aggregate a  
25 schedule and aggregate imbalances and treat that as one

1 for that purpose. We also provide for imbalanced trade  
2 and between generators. So those are already things that  
3 are in place today on the Con Edison system.

4 Q: Do you mean generators of different companies?

5 A: Yes, sir. We allow generators to trade their  
6 imbalances among generators at the end of the gas day.  
7 Yes, we do. We've had that in place for a number of  
8 years.

9 Q: Okay. And do the--do you know if the existing  
10 contracts that you have allow for that? If a customer's  
11 under a contract--

12 A: [Interposing] Yes, it does.

13 Q: --they can--

14 A: [Interposing] Yes.

15 Q: You--

16 A: [Interposing] Yes, it does. There is no  
17 prohibition. Again, you're asking me to speak about  
18 negotiating commercial terms, but I'll say generally,  
19 there's no prohibition that's available to all generators  
20 who have an opportunity to exercise. If they can find a  
21 willing party to offset an imbalanced position then we  
22 allow them to do so.

23 Q: Okay.

24 A: Whether it's daily, I don't know, sir.

25 MR. JOHNSON: That's all I have, Your Honor.



1 Thank you.

2 ALJ AGRESTA: Thank you.

3 MR. OSSIES: Your Honor, staff has some very  
4 brief cross.

5 ALJ AGRESTA: Okay.

6 CROSS-EXAMINATION

7 BY MR. BRIAN OSSIES

8 Q: I think you testified that you would be willing  
9 to allow the issues that staff identified in this  
10 testimony to be available to form a free-marketing  
11 collaborative. Is that correct?

12 A: Yes.

13 Q: Okay.

14 A: But I clarified today, what I intended to mean  
15 was a broader collaborative to include representation from  
16 the generators, either as part of that marketer  
17 collaborative or as a separate collaborative where we  
18 could have a focused discussion because of the dynamics I  
19 described here today, the number of parties involved on  
20 the marketer side, certain gas customer diversity, the  
21 interest of a limited number of generators--it's less than  
22 six--operate on the - - .

23 Q: So I think you also testified that you're not  
24 aware that the proposals put forth in staff's testimony,  
25 specifically with regard to shrinking of dead bands,

1 increasing the cash-out; that has not been an issue or  
2 issues presented in the market collaborative to date,  
3 correct?

4 A: Specifically, staff's proposal has not been put  
5 forward for discussion because it's discussed here in a  
6 rate case and not all the marketers are participating in  
7 market collaborative are parties to this case.

8 Q: Thank you.

9 A: Or the generators.

10 Q: Thank you. And it's fair to say, based on your  
11 experience with rate cases, and I'm assuming that goes  
12 back several years?

13 A: Yeah. I think we established - - .

14 Q: Okay. Thank you. So it's fair to say that if  
15 these issues were dealt with in the rate case, we'd have  
16 some certainty on these issues sooner rather than later  
17 with regards to some of the proposals that staff  
18 identified in its--

19 A: [Interposing] Yeah. As I think I testified to in  
20 my testimony in the case that the Commission decides to go  
21 forward with any proposal made from either staff or any  
22 parties, regardless of what issues were raised related to  
23 the efficiency or what related to dealing with this  
24 outside of this proceeding, - - .

25 Q: In the context of this rate case--

1 A: [Interposing] Correct.

2 Q: --which I'm--if rates are set January 1<sup>st</sup>, 2014,  
3 you'd have some certainty in settling with that?

4 A: That is an option, obviously. That could be an  
5 option.

6 Q: Thank you very much.

7 A: You're welcome.

8 MR. RICHTER: Just some very brief  
9 redirect, Your Honor.

10 ALJ AGRESTA: Okay. Go ahead.

11 REDIRECT EXAMINATION

12 BY MR. MARC RICHTER

13 Q: Mr. Carnavos, earlier, when you were questioned  
14 by Mr. Tripp, he mentioned couple of times increases in  
15 the losses from generators. Do you remember those  
16 questions?

17 A: Yes, I do.

18 Q: Am I correct that the increase that the company  
19 is proposing with respect to the LAUF as applicable to  
20 generators just means increased contribution from  
21 generators to system losses, which would reduce the  
22 contribution made by other customers on the system?

23 A: That is correct.

24 MR. RICHTER: No further questions, Your  
25 Honor.

1 ALJ AGRESTA: Okay. Anybody else have  
2 anything based on that one question? All right.  
3 We're going to take a lunch recess until 1:45 and  
4 then we'll recommence right on time so please be back  
5 on time.

6 [OFF THE RECORD]

7 [ON THE RECORD]

8 ALJ AGRESTA: Okay. We're back on the  
9 record. Con Edison, please call the next witness.

10 MS. KRAYESKE: Con Edison calls its Steam  
11 Fuel Panel.

12 ALJ BIELAWSKI: Please stand. Please raise  
13 your right hand. Do you swear to affirm that the  
14 testimony you are about to give will be the truth,  
15 the whole truth, and nothing but the truth?

16 MR. JOHN CATUOGNO: I do.

17 MS. CHRISTINA HO: I do.

18 ALJ BIELAWSKI: And do you adopt your pre-  
19 trial testimony as your sworn testimony in these  
20 proceedings?

21 MR. CATUOGNO: I do.

22 MS. HO: I do.

23 ALJ BIELAWSKI: Thank you.

24 J O H N C A T U O G N O and C H R I S T I  
25 N A H O, having been first duly sworn, testified as

1 follows:

2 DIRECT EXAMINATION

3 BY MS. MARY KRAYESKE

4 Q: Other than the corrections that were provided  
5 last week, on Friday by the company regarding your  
6 testimony, do you have any other corrections?

7 MR. CATUOGNO: No, we do not.

8 MS. KRAYESKE: The panel is available for  
9 cross.

10 ALJ AGRESTA: Thank you. New York City?

11 CROSS-EXAMINATION

12 BY MR. JAY GOODMAN

13 Q: Good afternoon, panel. My name is Jay Goodman.  
14 I'm attorney for the City of New York. I have a few  
15 questions for you this afternoon regarding the variants,  
16 steam variance. Do you have with you copies of the  
17 exhibits appended to the testimony of city witness Harvey  
18 Arnet [phonetic]? Like to give you a copy if not. Panel,  
19 I'm handing you a few pages from Exhibit HA5 from Harvey  
20 on his direct testimony. Initially, does the panel agree  
21 that the--

22 MS. KRAYESKE: [Interposing] Excuse me one--

23 Q: --purpose--

24 MS. KRAYESKE: --second, Your Honor. Can  
25 Mr. Goodman please advise as to what pages in HA5?

1 It's a 147-page document.

2 MR. JAY GOODMAN: I will, Mary. The first  
3 is just a general question.

4 MS. KRAYESKE: Okay.

5 MR. GOODMAN: I will be starting on Page 61.

6 MS. KRAYESKE: Thank you.

7 Q: Does the panel agree that the purpose of the  
8 steam variance inside the mechanism is to encourage the  
9 company to reduce line losses on the steam system?

10 MR. CATUOGNO: Yes.

11 Q: Now, if you'll turn to Exhibit HA5, Page 61, copy  
12 of which I handed to you, it's the panel's response to  
13 City 365. Will you accept, subject to check, that for the  
14 5-year period indicated in your response to that  
15 information request, steam system variance averaged 14.1%  
16 of systems MF?

17 MR. CATUOGNO: Can you just repeat that figure?

18 Q: Fourteen point one percent.

19 MR. CATUOGNO: I will, subject to check.

20 Q: Okay. Is the panel aware of how many times  
21 annual system variance has exceeded 15% from the rate year  
22 ending September 31, 2005, through the present?

23 MR. CATUOGNO: Are you asking in the last 12 months,  
24 5 years, on a monthly basis, 10 years?

25 Q: On an annual basis.

1 MR. CATUOGNO: On an annual--

2 Q: [Interposing] Going back that far.

3 MR. CATUOGNO: You said 15%?

4 Q: That's correct.

5 MR. CATUOGNO: Well, obviously, it's evident in the  
6 exhibit that it did in the in the last rate year, it was  
7 at 15.3%. And then the last--on an annual basis. And  
8 then the last rate here on an annual basis that it was at  
9 15% of--15.0% in--for the rate year ending September 30<sup>th</sup>,  
10 2007. I will add that on a monthly basis, though there  
11 can be from month to month, steam variance can be well  
12 above 15%, as well as below 15% at different times of the  
13 seasons.

14 Q: Panel, I also handed you copies of your responses  
15 to City 574 and 575, which were included beginning on  
16 Pages 75 of Exhibit HA5. In those responses--I'm sorry.  
17 Are you ready?

18 MR. CATUOGNO: Can I just have one minute, please?

19 Q: Sure.

20 MR. CATUOGNO: Thank you. Okay. I'm ready.

21 Q: In the panel's response to City 574, the panel  
22 indicated the company plans to continue ongoing efforts  
23 during each of the next three rate years to minimize steam  
24 variance. Is that your position here today as well?

25 MR. CATUOGNO: That is correct.

1 Q: Is it the panel's position also that those  
2 ongoing efforts will continue to yield improvements in  
3 steam variance?

4 MR. CATUOGNO: This panel cannot come to that  
5 conclusion due to several variables beyond the company's  
6 control that would happen from one year to another.

7 Q: Those are the factors that you described in your  
8 testimony?

9 MR. CATUOGNO: That is correct.

10 Q: Have the efforts described in the panel's  
11 response to 574 yielded improvements in steam variance?

12 MR. CATUOGNO: Yes.

13 Q: Does the panel have any specific reason to  
14 anticipate that as those programs or efforts are  
15 continued, they no longer will yield improvements in  
16 variance?

17 MR. CATUOGNO: As mentioned before, from time to  
18 time, several factors as mentioned in the testimony that  
19 we agreed to can drive the variance up regardless of all  
20 the efforts that may be mentioned here, such as weather,  
21 rainfall, ambient air temperature, infrastructure leaks  
22 that are not part of the company system.

23 Q: And those same factors also can drive the  
24 variance down. Is that fair?

25 MR. CATUOGNO: They could, but I believe that that



1 pretty much has been shown to the extent of the range in  
2 the previous exhibit, that was shown in 365. As you can  
3 see, you know, you're ranging from 3.5 billion pounds of  
4 steam to 4 billion pounds of steam on any given year. And  
5 I think that's a reasonable range in typical years, but I  
6 think if it--could it get higher or a little lower? I  
7 believe so because looking prior to September 2008, you  
8 know, the line losses, steam variance, were greater than 4  
9 billion pounds. And steam dispatch, outage schedules, you  
10 know, like I said, rain, precipitation, the amount of  
11 units on that have super heat or don't have super heat,  
12 can all impact this number.

13 Q: And again, that impact can be to increase or to  
14 decrease variants across given years. Is that correct?

15 MR. CATUOGNO: It will depend. It will range. That  
16 is correct.

17 Q: In the panel's Exhibit FP1, the panel forecasts  
18 that there will be no significant change in total annual  
19 steam send-out through December 31, 2018. That is a  
20 correct interpretation of the exhibit?

21 MR. CATUOGNO: I'm sorry. I just turned to the--  
22 could you just please repeat it once more?

23 Q: Sure. Isn't it correct that according to the  
24 exhibit, the panel's position is that there will be no  
25 significant change in total annual steam send-out through

1 December 31, 2018?

2 MR. CATUOGNO: I won't say--I will say that from the  
3 exhibit, from years 2014 through 2018, our forecasted  
4 steam production will range from 25.2 billion pounds to  
5 25.8 billion pounds. A difference of 0.6 billion pounds  
6 is noticeable from certain aspects, depending on what  
7 frame you're talking about.

8 Q: And the panel is aware that the City and staff  
9 both have proposed updates to the variance incentives - -,  
10 isn't that correct?

11 MR. CATUOGNO: Yes.

12 Q: The City has published an upward variance limit  
13 that would not trigger a penalty or negative incentive  
14 unless annual steam system variance exceeds 4.1 billion  
15 pounds. Does the panel agree?

16 MR. CATUOGNO: We do.

17 Q: Does the panel also agree that annual system  
18 variance has been under that threshold during every year  
19 since the rate year ending September 2007?

20 MR. CATUOGNO: No.

21 Q: Will you please explain?

22 MR. CATUOGNO: Yeah. I have for the rate year ending  
23 September 30<sup>th</sup>, 2007, a steam variance of approximately  
24 4.38 billion pounds.

25 Q: That's correct. I--but from that time, since the

1 following rate year ending September 2008, it has been  
2 under the 4.1 billion end pound threshold. Is that  
3 correct?

4 MR. CATUOGNO: Yes, that is correct.

5 Q: And the upper variance limit proposed by staff is  
6 that there would be no negative incentive unless the  
7 system variance exceeds 3,840 MM pounds, correct?

8 MR. CATUOGNO: That is correct.

9 Q: And annual system variance has been below that  
10 threshold every year since rate year ending--excuse me--  
11 September 2009, correct?

12 MR. CATUOGNO: That is correct.

13 MR. GOODMAN: I have no further questions  
14 for the panel. I do have one exhibit that I'd like  
15 to introduce. I had a brief discussion with counsel  
16 for Con Edison as to whether or not this would be the  
17 appropriate panel. But an excerpt from the company's  
18 steam long range plan that I'd like to introduce as a  
19 hearing exhibit is provided in response to an  
20 information request. If the company disagrees this  
21 would be the appropriate time, I'd be happy to raise  
22 that at a later point. I don't think it's--I don't  
23 recall if it's attached to a specific witness.

24 MR. RICHTER: You don't have any questions  
25 for the panel about this excerpt?

1 MR. GOODMAN: I do not.

2 MR. RICHTER: And did you say it was  
3 provided as part of the interrogatory response?

4 MR. GOODMAN: It was.

5 MR. RICHTER: Can I ask who the responding  
6 witness was at the department?

7 MR. GOODMAN: No responding witness is  
8 indicated. It is a publicly-available document on  
9 the company's Web site.

10 MR. RICHTER: No objection.

11 MALE VOICE: No objection.

12 ALJ AGRESTA: You have copies?

13 MR. GOODMAN: Yes.

14 ALJ AGRESTA: Are these both the same?

15 MR. GOODMAN: They are, yes.

16 ALJ AGRESTA: Okay. The document previously  
17 described, which on the first page is a response to  
18 question S-009. It'll be marked as Exhibit 802 for  
19 identification.

20 MR. GOODMAN: Now I have nothing further,  
21 Your Honor.

22 ALJ AGRESTA: Thank you. Okay. DPS staff.

23 MR. GUY MAZZA: Thank you, Your Honor, and  
24 members of the panel.

25 CROSS-EXAMINATION

1 BY MR. GUY MAZZA

2 Q: I have a few questions I'd like to pose to you  
3 today.

4 ALJ AGRESTA: Give us your name, please.

5 MR. MAZZA: It's Guy Mazza, DPS staff.

6 Q: Like to direct your attention to Page 4 of your  
7 rebuttal testimony. And beginning on page--sorry.  
8 Beginning on Line 12, you state, moreover, most of the  
9 actions the company can take to reduce steam variance  
10 beyond current levels are not cost-effective when measured  
11 solely from the point of view of reducing losses. I draw  
12 your attention to the word solely. My question is, is the  
13 implication of that statement that synergies, while  
14 considered when evaluating actions that may be taken by  
15 the company, which would reduce the steam variance?  
16 Perhaps, for example, in the context of storm hardening  
17 measures?

18 MR. CATUOGNO: Yes. Synergies are considered and can  
19 be considered under this context.

20 Q: That position is not reflected in your testimony.  
21 Is that correct?

22 MR. CATUOGNO: That is correct. My testimony focused  
23 on line loss, thermal losses.

24 Q: Okay. Then moving down to Line 19, the question  
25 is, has the company undertaken any efforts to identify

1 additional measures to further reduce the thermal losses?  
2 The answer is, a collaborative effort undertaken in 2009,  
3 which included staff and the City to review and summarize  
4 prior steam variance studies and evaluate any  
5 opportunities to reduce steam losses demonstrated that  
6 there is very little else, if anything, that the company  
7 can do to economically--economically to further reduce  
8 thermal losses. And then go on to cite an effort of the  
9 company reducing steam operating pressure. Now, that  
10 collaborative that you refer to is four years ago. Can I  
11 infer that you're stating there have been no technological  
12 advances since 2009, which may help you in reducing your  
13 thermal losses?

14 MR. CATUOGNO: Okay. So the collaborative effort was  
15 undertaken in 2009, and then further work was continued  
16 and a report was filed by the company subsequent, October  
17 31<sup>st</sup>, 2010. So the timeframe has been a little bit  
18 narrower than from your starting point. And there have  
19 not--this study looked at previous studies going back as  
20 far as we had for reducing line loss, several--many, many  
21 years, through many cases. And the purpose of this effort  
22 was to review all of those studies and determine if there  
23 was anything else that could be done. As a result of  
24 looking at those studies and looking at new technologies  
25 at that time, which I believe has not made any serious,

1 severe breakthroughs at this point in time, have there  
2 been anything--is there anything of real material that we  
3 could do that would be cost effective, or economical to  
4 reduce the line loss that we might not be doing already or  
5 in other programs.

6 Q: Am I misunderstanding what you said? Are you  
7 basing that on a report that was in 2010?

8 MR. CATUOGNO: Well, as I said, in 2010, we concluded  
9 that there was nothing much we could do that we didn't do--  
10 -in 2010, we concluded we could--probable insulation was  
11 not going to be cost effective. We looked at increasing  
12 the amount of super heat on the steam system, and there  
13 were mechanical limitations as far as thermal expansion  
14 and contraction. And there was very little room for  
15 improving the amount of super heat. So that option was  
16 not followed through. But then the option of reducing  
17 system operating pressure was brought out and the company  
18 did implement it. And this--and from that time through  
19 now, we've implemented lowering the amount of pressure,  
20 gaining more super heat, and we have considered other  
21 items and looked is there anything else we could do. And  
22 really, what the company does in its day-to-day chores, we  
23 rebuild panels, we work with the DDP to minimize their  
24 structure leaks or clogged catch basins to minimize water  
25 infiltration. We've gone through many efforts to seal our

1 steam structures in areas that were prone to water to  
2 water intrusion. So those kind of efforts will continue  
3 and have continued. Since then, we've also implemented  
4 our steam incident action plan that looks at remote  
5 metering, remote monitoring of structures, and I feel  
6 confident that those numbers have been reflected already  
7 in the steam variance reductions that we've seen.

8 Q: So other than the items that were raised in the  
9 collaborative and the ones you've mentioned now, there are  
10 no other advances since 2010, which may be cost-effective  
11 when--just if you looked at the other areas that may  
12 improve the steam variance?

13 MR. CATUOGNO: Well, I'm not aware of any other cost-  
14 effective things that we could do to solely reduce the  
15 variance.

16 Q: You're using the word solely again. Solely is  
17 not--

18 MR. CATUOGNO: [Interposing] Yeah, the--

19 Q: [Interposing] Solely is not my question.

20 MR. CATUOGNO: Well--

21 Q: [Interposing] Synergistically is my question.

22 MR. CATUOGNO: Well, synergistically, it depends on,  
23 you know, on what's the synergy, what's the other benefit  
24 that you're getting, and is there another program that's  
25 going to be taking care of that? The way we looked at it



1 on a sole basis, and that's what we testified to. And  
2 that's what the study was done to look at.

3 Q: And one more question. You referred to thermal  
4 losses. What about other types of losses?

5 MR. CATUOGNO: So thermal losses is the largest  
6 component of the steam variance. The other losses are  
7 leaks. And occasionally meter error could skew the loss  
8 plus or minus either way. The company does, you know,  
9 have a program for meters, it does have a program for  
10 leaks. That's part of our performance. So the main--the  
11 majority of thermal losses--the majority of steam  
12 variance, predominantly in a big way, is the thermal loss.  
13 I would also add that, you know, my judgment, I feel that  
14 a 90% competence level is more appropriate for steam  
15 variance relative to an 80% competence level.

16 Q: Thank you, but that's really a statement  
17 unrelated to what I'm asking for now. Thank you. If I  
18 may pursue the synergies for a moment. When you're doing  
19 construction work, for example, revealing pipes, which may  
20 make them more readily susceptible to reinsulation, is  
21 that not something you would pursue?

22 MR. CATUOGNO: I'm sorry. Just repeat the front end  
23 of that question.

24 Q: Work that may be relating to--this is not what I  
25 said prior, previously, but let me clarify. Related to

1 municipal inference work when, for example, pipes become  
2 more readily able to be reinsulated, is that not something  
3 you would pursue?

4 MR. CATUOGNO: So I won't--I'm not familiar exactly  
5 with what happens when we do municipal interference work,  
6 but I'd say generally speaking, when we are rebuilding a  
7 main or replacing a section of pipe, and it could be it  
8 could come up interference, we absolutely remove all the  
9 housing, remove all the thermal insulation, whenever they  
10 do with the main or sectional component will get new  
11 thermal insulation, it will get new housing and they will  
12 use best engineering practices and construction skills to  
13 ensure the best thermal performance, as well as with the  
14 mindset to mitigate more water intrusion.

15 MR. MAZZA: Staff has nothing further at  
16 this time, Your Honor.

17 ALJ AGRESTA: There is a--I think it's a one  
18 billion dollar budget for storm hardening measures  
19 spread out among electric, gas and steam over a 4-  
20 year period. If my memory serves me correct, some of  
21 that money is for storm hardening related to the  
22 steam system. Will any of those activities result in  
23 a reduction in steam variance that's not already  
24 taken into account in your numbers?

25 MR. CATUOGNO: I'm sorry. Did you say one

1 million?

2 ALJ AGRESTA: I said one billion.

3 MR. CATUOGNO: Oh, one billion. Your Honor,  
4 nothing off the top of my head. The storm hardening  
5 program has, as far as on the steam side, is going to  
6 have a material implication on steam variance in the  
7 coming-in forward years.

8 ALJ AGRESTA: Okay. Thank you. Do you have  
9 any redirect?

10 MR. RICHTER: Just a moment.

11 MS. KRAYESKE: One question, Your Honor.

12 One question, Your Honor.

13 REDIRECT EXAMINATION

14 BY MS. MARY KRAYESKE

15 Q: The Judge just asked you some questions about  
16 storm hardening and its effect on steam line losses. Can  
17 you please explain your response?

18 MR. CATUOGNO: Yes. The steam storm hardening  
19 program is focused on the steam production side. And the  
20 reason for a steam distribution site not having a capital  
21 allotment from storm hardening is because in the advent a  
22 storm, hours out, the company preemptively shuts down and  
23 isolates a section of the steam system. So regardless of  
24 whether it was hardened or not, if that section of steam  
25 pipe was going to be under water, we would not feel

1 comfortable leaving it in service. So that hardening  
2 effort would be really not adding a value there. So, you  
3 know, our plans in place are to preemptively isolate  
4 sections that are expected to be under water during major  
5 storm events.

6 Q: Thank you.

7 MS. KRAYESKE: Nothing further.

8 ALJ AGRESTA: Okay. Your question has to be  
9 related to that.

10 RE-CROSS EXAMINATION

11 BY MR. GUY MAZZA

12 Q: None of the hardening of the steam tunnels would  
13 have any positive impact on steam variance?

14 MR. CATUOGNO: I would say insignificant as to the  
15 magnitude of these, because if you had a storm, it would  
16 be a short-lived period. And for example, the Hudson  
17 Avenue tunnel would already be isolated as part of a  
18 storm, so that tunnel's out. The First Avenue tunnel,  
19 that will be hardened a little bit, but I believe that  
20 that tunnel--if it was out for a short period of time, I  
21 don't see a significant amount of decrease in variance.  
22 And the Ravenswood tunnel, again, I don't foresee a  
23 material impact on a decrease in steam variance based on  
24 the upgrade and any upgrades on those two tunnels.

25 Q: Thank you.

1 MR. GOODMAN: Your Honor, I have—I've got  
2 just a couple quick questions.

3 ALJ AGRESTA: It's got to be on this topic  
4 only--

5 MR. GOODMAN: [Interposing] Yeah, just  
6 following up on those questions.

7 RE-CROSS EXAMINATION

8 BY MR. JAY GOODMAN

9 Q: Just to be clear with your response to the  
10 questions posed by staff, when you are talking about the  
11 potential impact variance of, for example, hardening the  
12 tunnels, your response pertained to the period of time  
13 that the--there may be an outage due to a storm. If you  
14 look at it on an annual basis, would there be any--would  
15 you anticipate an impact on variance from those hardening  
16 activities, from hardening the tunnel?

17 MR. CATUOGNO: None whatsoever. The tunnels are  
18 accessible, and so we maintain the thermal insulation on  
19 that piping system to minimize line loss all other times.  
20 So the answer is no.

21 Q: Thank you.

22 ALJ AGRESTA: Okay. These witnesses are  
23 excused. Thank you. Con Ed, could you please call  
24 the next witness?

25 MS. SUSAN VERCHEAK: Your Honor, Con Edison

1 calls Joey [phonetic] DeBreeze to the stand.

2 ALJ AGRESTA: Okay. We need your name.

3 MS. VERCHEAK: You need my name? It's--

4 ALJ AGRESTA: [Interposing] No, no. Just  
5 say--

6 MS. VERCHEAK: [Interposing] You need my  
7 card?

8 ALJ AGRESTA: --your name for the--

9 MS. VERCHEAK: [Interposing] It's Susan  
10 Vercheak, V, as in Victor, E-R-C-H-E-A-K. I'm with  
11 Con Ed.

12 ALJ AGRESTA: Okay. Thank you.

13 MS. VERCHEAK: You're welcome.

14 ALJ BIELAWSKI: Can you stand for me,  
15 please, and raise your right hand? Do you swear or  
16 affirm that the testimony you're about to give is the  
17 truth, the whole truth, and nothing but the truth?

18 MR. DEBREEZE: I do.

19 ALJ BIELAWSKI: And do you adopt your pre-  
20 trial testimony as your sworn testimony in these  
21 proceedings?

22 MR. DEBREEZE: I do.

23 ALJ BIELAWSKI: Thank you.

24 ALJ AGRESTA: Okay.

25 J O E Y D E B R E E Z E , having been first

1           duly sworn, testified as follows:

2       DIRECT EXAMINATION

3       BY MS. SUSAN VERCHEAK

4           Q:   Mr. DeBreeze, do you have any corrections to add  
5       to your testimony beyond those which have already been  
6       submitted to the Court?

7           A:   No, I don't.

8           Q:   Thank you. Mr. DeBreeze is available for cross-  
9       examination, Your Honors.

10           ALJ AGRESTA: Thank you. Environmental  
11       Defense Fund, I have you down for 15 minutes, and  
12       that's the only cross I see for this witness.

13           MR. TRIPP: Thank you.

14       CROSS-EXAMINATION

15       BY MR. JAMES TRIPP

16           Q:   Mr. DeBreeze, my name is James Tripp. I'm  
17       counsel for the Environmental Defense Fund in this  
18       proceeding. You're the Director of Con Edison's research  
19       and development program, is that right?

20           A:   That's correct.

21           Q:   You indicated in your--both your electric and gas  
22       testimony that when you select projects for research and  
23       development, you look--among other things, you look at the  
24       benefits, you look at the costs, and you do sort of a  
25       cost-benefit analysis to decide whether or not you should

1 proceed. Is that right?

2 A: That's correct.

3 Q: Now, the R&D budget for Con Edison for the next  
4 rate year is the same as it was this year or last year.  
5 Is that correct?

6 A: It's the same for electric is the same as the  
7 historic year.

8 Q: For electric? For gas?

9 A: For gas is a little bit lower.

10 Q: And for electric in 2014, it's the same as the  
11 historic year end. That's also the case for 2015 and  
12 2016?

13 A: It's okay to check?

14 Q: In other words--

15 A: [Interposing] That's correct.

16 Q: --Page 3 of your--yeah.

17 A: That's correct.

18 Q: So I take it whatever kind of benefit-cost  
19 analyses you've done of individual prices, your--the  
20 decision is not to increase the R&D budget in any way, as  
21 far as electric is concerned?

22 A: So our process, we look at opportunities that are  
23 presented to us, opportunities that we come up with  
24 internally within R&D and also in our operating groups.  
25 We put that all through our prioritization methodology



1 where we take into account impact on reliability, impact  
2 on safety, both the customers and employee safety, impact  
3 on cost production, impact on risks. We look at new  
4 technologies, the development of new technologies, and we  
5 look at the readiness of technology. We put all that into  
6 a package and we decide which projects are proven to move  
7 forward. And to answer your question--I guess I didn't  
8 answer that question. To answer the question, right now,  
9 we don't see any need to increase that for the foreseeable  
10 future.

11 Q: And have you--I mean, your R&D budget is  
12 something in the order of 1% or revenue of the company.  
13 Is that right?

14 A: I believe it's lower than that, but it is on par  
15 with utilities, as per--I was looking at a study done by  
16 the National Science Foundation in 2007, and the top 20  
17 performing utility companies, we're right on par.

18 Q: Your testimony describes some research you're  
19 doing with respect to the lithium plan battery technology.  
20 I'm referring specifically to Pages 18 and 19 of your  
21 testimony.

22 A: Okay. I'm following you.

23 Q: Is that right?

24 A: Yes.

25 Q: And you were also quoted in a New York Times

1 article, in the business section, a couple weeks ago about  
2 a different kind of battery technology.

3 A: That's correct.

4 Q: Can you tell us about that?

5 A: That's a--we're working with a company Veos, V-E-  
6 O-S, that's a NYSERDA project. They're developing a  
7 nickel--I'm sorry, a zinc air battery. Is there anything  
8 more you're looking for that on that? It's a very small-  
9 scale battery. It's--we're looking at the development of  
10 technology to see if it has potential.

11 MR. TRIPP: Could we have this marked as  
12 Exhibit 201? A copy of the New York Times article to  
13 which I was just referring, I believe from July 17<sup>th</sup>,  
14 2013.

15 ALJ AGRESTA: So you don't read the Post?  
16 You read the Times?

17 MR. TRIPP: In Post, this witness--

18 ALJ AGRESTA: [Interposing] No, I'm sorry.  
19 We had a Post article the other day that somebody  
20 wanted to mark. We'll take the Times too. You can  
21 pass that around. It's a two-page exhibit. It will  
22 be marked Exhibit 803 for identification.

23 MR. TRIPP: May I proceed?

24 ALJ AGRESTA: Yes.

25 Q: Mr. DeBreeze, you're quoted on the second page of

1 this article. The Times article says "they've got a cost  
2 factor that makes the technology viable to use their  
3 batteries." Is that a correct reflection of what you said  
4 or what you think?

5 A: Yeah. They have a cost target. So when the--the  
6 reference to cost factor is not there yet, but the  
7 development target is very attractive.

8 Q: And when you say it's very attractive, what do  
9 you see as being the benefits of battery storage  
10 technology?

11 A: So I believe the article goes over a lot of that,  
12 but it's leveling out lower curves as deferring  
13 infrastructure. So we're hoping that, you know, we're  
14 working with a number of battery companies to try and find  
15 the right technology that makes sense.

16 Q: So one of your R&D interests is looking at  
17 techniques, technologies, techniques or strategies that  
18 could reduce peak demand, and therefore avoid stresses in  
19 the system?

20 A: So we're looking at that at all levels, from  
21 production to the customer. So it could be peak demand or  
22 it could be a local demand issue that we're trying to  
23 mitigate.

24 Q: And you also refer on Page 12 of your testimony  
25 to a project having to do with room air conditioners.

1 A: Yes.

2 Q: Is this sort of a demand response kind of  
3 technology or--

4 A: [Interposing] It's a technology aimed at enabling  
5 demand response for window air conditioning.

6 Q: And again, what's the potential benefit of that?

7 A: The same type of response to both - -.

8 Q: If I may refer you to Page 2 of your rebuttal  
9 testimony.

10 A: Electrical hub?

11 Q: Yes. Do you know, at the current time, are you  
12 spending any R&D dollars on AMI, you know, metered  
13 technology that allows for prospective utilization of time  
14 variant - -?

15 A: So we have done projects like that and we may  
16 have a small amount in the budget for next year, for 2014.  
17 Yes.

18 Q: You know, on Page 2 of your testimony, you're  
19 referring to Mr. Cetovella's [phonetic] testimony  
20 regarding the company R&D Program. And you refer to his  
21 perception that the company proposes an 85% reduction in  
22 its smart grid funding for 2012 to 2016. Do you see that  
23 statement in your rebuttal?

24 A: Yes.

25 Q: Is it true that the company is proposing an 85%

1 reduction in its smart grid funding for those years?

2 A: No.

3 Q: And is that because it's being offset to some  
4 degree by R&D money that's going to - - and the project  
5 Hydra?

6 A: The calculation was based on line items that have  
7 projects with the words smart grid in the title. If you  
8 look through the--'cause smart grid has a fairly broad  
9 definition. If you look through the projects we're  
10 involved in, I would say more than half of our budget is  
11 towards smart grid initiatives.

12 Q: Would it be fair to say that the bulk of the--  
13 what you call funding that's--where there's this increase  
14 of 40% that's going to Ebry [phonetic] project Hydra,  
15 that's for transmission and distribution times of R&D  
16 projects?

17 A: It sounds like there's two pieces to that  
18 question. Can I ask you to separate them? T&D? You're  
19 asking about T&D? So project Hydra is a transmission  
20 project.

21 Q: And the Ebry projects?

22 A: Ebry projects cover the full range. We have  
23 substation projects, we have transmission projects, we  
24 have distribution projects.

25 Q: Okay. But that does not include anything on the

1 customer side of the meters?

2 A: Ebry has--does work in that area. That's  
3 typically not the stuff we're focusing on.

4 Q: Okay. Let me--I just have a couple questions  
5 about your natural gas testimony.

6 A: Sure.

7 Q: You recognize that--I think you indicate on Page  
8 12 of your testimony, you recognize that methane is a  
9 greenhouse gas.

10 A: Yes.

11 Q: And you indicate that one of the benefits of a  
12 variety of research and development projects that you  
13 identify here would reduce methane leakage or methane  
14 emissions that would include an environmental benefit, as  
15 well as an economic benefit?

16 A: Yes.

17 Q: You refer on Page 14, and again on 17 to a  
18 project to--I think it is develop portable ethane and  
19 methane sensors.

20 A: Yes.

21 Q: Okay. The purpose of that is to really pinpoint  
22 leakage of methane from the natural gas emission system,  
23 above ground system?

24 A: That's correct.

25 Q: Have you started that research, that project?

1 A: Yes.

2 Q: And can you describe what the sensors are, what  
3 they look like and what they--

4 A: [Interposing] So if your question is what size is  
5 about that big, right? Six inches by four inches. And  
6 this technology is through collaborative efforts with OTD,  
7 Operations Technology Development, and - - Search. They  
8 both have efforts along these lines. There are different  
9 technologies for sensing the methane. I don't know that I  
10 could, off the top of my head, give you the details on the  
11 technologies.

12 Q: But this is ongoing research?

13 A: Yes.

14 Q: And what's your goal in terms of, I mean, what's  
15 the potential benefit?

16 A: We do leak detection. We also do leak surveys.  
17 These devices probably would be used by mechanics for leak  
18 detection is where we think this would go for us.

19 Q: And would you see a benefit to this technology in  
20 detecting leaks that may not necessarily qualify as a  
21 safety problem, but might still constitute an  
22 environmental problem that methane is being used in the  
23 atmosphere?

24 A: Can you repeat the question? 'Cause--

25 Q: [Interposing] Is a benefit--you're talking about

1 the benefits of this kind of technology, the sensor  
2 technology. Is the sole benefit to detect leaks that  
3 constitute a safety problem, or are you also including a  
4 potential environmental benefit of reducing methane as a  
5 greenhouse gas emissions to the atmosphere?

6 A: So as I said earlier, there are benefits for the  
7 environment. The leak detection and the leak survey that  
8 we--what we do in those areas, these devices would detect  
9 leaks regardless of the purpose for why I'm looking for  
10 them. Does that answer your question?

11 Q: And on Page 25 of your testimony, at the bottom,  
12 you refer to developing an automated gas leak survey  
13 mapping system that records leak surveys directly onto  
14 electronic maps. Can you describe what that project is?

15 A: Yeah. So this is an interesting project where  
16 we're taking GIS mapping data and coordinating that with  
17 leak detection vehicles, so vehicles that arrive at system  
18 and scan for leaks and put them together so that the data  
19 is tracked instantaneously, put right onto the map, that  
20 I've review this section of pipe. It can determine how  
21 close you are to the pipe to make sure you're directly  
22 over the pipe when it's checking for leaks.

23 Q: You were just referring to the--if you--if some  
24 of these sensor technologies were that that you described,  
25 could they be carried on a vehicle and you could--describe



1       how they could be used.

2           A:    So absolutely.  So we have vehicles already  
3       equipped with sensors.  The other sensors could--some of  
4       the sensors we're looking at have higher sensitivity than  
5       the current sensors.  So yes, they could--the vehicles  
6       could be equipped with additional sensors or even replace  
7       those sensors when they become available.

8           Q:    Thank you very much.

9                   MR. TRIPP:  I have no further questions.

10                  ALJ AGRESTA:  Any redirect?

11                  MS. VERCHEAK:  No redirect, Your Honors.

12                  ALJ AGRESTA:  Thank you.  You're excused.

13       Thank you for your testimony.  New York City, you can  
14       call the next witness, please.

15                  MR. KEVIN LANG:  Your Honor, we call Mr.  
16       Gorman.

17                  ALJ BIELAWSKI:  Raise your right hand for  
18       me, please.  Do you swear or affirm the testimony you  
19       are about to give is the truth, the whole truth, and  
20       nothing but the truth?

21                  MR. GORMAN:  I do.

22                  ALJ BIELAWSKI:  And do you adopt your pre-  
23       trial testimony in these proceedings as your sworn  
24       testimony in these proceedings?

25                  MR. GORMAN:  Yes.

1 M R. G O R M A N, having been first duly  
2 sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MR. KEVIN LANG

5 Q: Mr. Gorman, do you have any corrections to your  
6 testimony?

7 A: I do.

8 MR. LANG: Your Honor, this witness is  
9 available for cross.

10 ALJ AGRESTA: Okay. I see 20 minutes by Con  
11 Edison and that's it for this witness. So Con  
12 Edison, you can proceed.

13 MR. RICHTER: Thank you, Your Honor.

14 CROSS-EXAMINATION

15 BY MR. MARC RICHTER

16 Q: Good afternoon, Mr. Gorman.

17 A: Good afternoon.

18 Q: If I could ask you to please turn to Page 28 of  
19 your testimony.

20 A: I'm there.

21 Q: Where you addressed the company's elimination of  
22 the temperature control option.

23 A: Yes.

24 Q: Am I correct that you're recommending the  
25 commission not consider this proposed change outside of a

1 rate case because--and I quote--"adjusting any rate  
2 outside of the general rate case base would be  
3 inappropriate"?

4 A: Yes.

5 Q: Okay. Could you please explain to me your  
6 understanding as to how rates paid by temperature control  
7 option customers would change under the company's  
8 proposal?

9 A: I believe they're proposing to eliminate the  
10 temperature control option.

11 Q: Right.

12 A: To the extent that's put in at the revenue  
13 collections of the company, that may impact the overall  
14 revenue collections and the accuracy of the other rates to  
15 produce the correct revenue.

16 Q: Okay. So let me just clarify what you're saying.  
17 You're saying that the elimination of the temperature  
18 control option wouldn't change what an individual  
19 customer, a temperature control option customer today, a  
20 notification customer tomorrow, would pay for service? It  
21 might just impact the overall revenues by the company?

22 A: By switching customers from one rate to another,  
23 that could impact the overall revenue collections.

24 Q: So I'm trying to clarify is your records to  
25 determine rate, right? So you have, let's say, ten

1 temperature control option customers today, you look at  
2 the company's tariff and there's a rate that they would  
3 pay for service, right?

4 A: Yes.

5 Q: And what I'm saying is that if that temperature  
6 control option were eliminated, are you suggesting that  
7 tomorrow, the service that they take, they would pay a  
8 different rate for that service?

9 A: The rate they're on is eliminated. They would  
10 have to move to a different rate.

11 Q: Okay. So it is your understanding that the rate  
12 they would pay would be a different rate, higher or lower?

13 A: It would be a different rate if the rate schedule  
14 they're on is eliminated. And that may impact the amount  
15 of contribution made to the company revenue requirement by  
16 switching rates.

17 Q: I'm not sure if you can accept the subject to  
18 check or not, but I'll ask. Would you accept, subject to  
19 check, that the customers today--again, the temperature  
20 control option is a means by which customers are notified  
21 or otherwise have devices in place by which they would  
22 interrupt service under certain circumstances.

23 A: That's my understanding, yes.

24 Q: So that today, a temperature control customer  
25 would have a device, but based upon a certain temperature,

1 they would cease taking service for a period of time?

2 A: Correct.

3 Q: And as a notification customer, right, they would  
4 only cease taking service when they receive notification  
5 from the company to cease taking service and then come  
6 back on to service when the company so advised?

7 A: That's my understanding.

8 Q: Would you accept, subject to check, that the rate  
9 they would pay for that service would not be any different  
10 under those two options? The only thing that's changing  
11 is the means by which they notify or self-notify to  
12 interrupt service?

13 A: That is correct.

14 Q: Thank you.

15 A: That the frequency in the amount of service they  
16 take from the company could change, depending on the  
17 frequency and amount of interruptions.

18 Q: Thank you. Like to ask you a few questions about  
19 your comments on the company's proposed steam weather  
20 normalization cost.

21 A: Okay.

22 Q: Am I correct that you're proposing the commission  
23 reject the company's proposal with respect to that  
24 mechanism?

25 A: Yes.

1           Q:    Okay.  And am I correct that one of the reasons  
2           for rejecting that clause is your belief that the weather  
3           normalization will make it more difficult for steam  
4           customers to predict and manage their bills?

5           A:    Yes.

6           Q:    So I'd like to understand a little--I'd like to  
7           understand your understanding of that a little bit better.  
8           When you speak of steam customers predicting their steam  
9           bills, are you talking in terms of the next month, the  
10          next year, some other period?

11          A:    It can be all of the above.

12          Q:    Could be all of the above.

13          A:    Steam customers, as well as electric, as well as  
14          gas customers look at options for installing energy  
15          consumption equipment.  When they need to understand what  
16          the price of energy is when they're using that.

17          Q:    Fair enough.  And when you say steam customers  
18          predicting their steam bills, when you talk in terms of  
19          steam customers predicting their steam bills, looking  
20          forward to energy efficiency or other factors that might  
21          affect their usage, is it your understanding that they  
22          assume normal weather in making those predictions, or is  
23          it some other weather that they may be assuming in  
24          predicting their usage?

25                   MR. LANG:  Objection.  Calls for

1 speculation. He's asking what customers believe,  
2 what they're assuming. There's nothing in his  
3 testimony that says--

4 ALJ AGRESTA: [Interposing] Well, I--

5 MR. LANG: --that he's interviewed  
6 customers.

7 ALJ AGRESTA: I think it's a fair question.  
8 He said he wanted customers to be able to understand  
9 what their bills are going to be. And I think the  
10 question goes directly to that. So go ahead and  
11 answer the question.

12 A: Well, I guess it would be a pretty lengthy list  
13 in looking what a customer could consider in trying to  
14 manage their energy costs.

15 Q: Absolutely. I agree with that.

16 A: One can be the efficiency of the equipment, the  
17 way in which they take service from the utility, and their  
18 budgetary limitations, and modify consumptions based on  
19 economic necessity. All of those factors could be  
20 considered by companies in making their energy assets  
21 investments, or simply dialing down the thermostats or not  
22 dialing them up, whatever the case may be, in an effort to  
23 manage their energy costs.

24 Q: I agree with you. And on a customer-to-customer  
25 basis, there are many, many factors I assume that each

1 customer takes into consideration in predicting what their  
2 energy bills may be going forward. Do you agree with  
3 that?

4 A: I do.

5 Q: Okay. And weather might be one of those factors?

6 A: Yes.

7 Q: And what I'm asking is, when a customer considers  
8 weather, among all those other factors, do you think  
9 they're assuming normal weather, colder than normal  
10 weather, or warmer than normal weather?

11 MR. LANG: Objection. Are you talking about  
12 a particular customer, every customer? I mean,  
13 you're asking what specific customers are doing. Mr.  
14 Gorman has already said that there's a number of  
15 factors. So are you talking about a particular  
16 customer here or what?

17 MR. RICHTER: I'll clarify that I'm not  
18 talking about a particular customer. I'm saying as a  
19 general matter, Mr. Gorman is indicating that for  
20 weather normalization costs, which is going to adjust  
21 a customer's bill based upon actual weather, as  
22 compared to forecasted weather, will make it more  
23 difficult for customers, as a general matter, to  
24 predict their energy uses.

25 Q: Just do you have in mind, as a general matter,



1 whether customers--when you wrote this testimony, were you  
2 assuming that customers would be assuming normal weather,  
3 colder than normal weather, or warmer than normal weather  
4 when they come up with their forecast of their energy  
5 needs going forward?

6 A: When I wrote this testimony, I was considering  
7 customers who considered more than just weather conditions  
8 describing their consumption behavior.

9 Q: I agree.

10 A: It would be one factor.

11 Q: And that one--

12 A: [Interposing] But it wouldn't be the only factor.

13 Q: Absolutely. That one factor, though, in your  
14 opinion, would customers be considering as a general  
15 matter normal weather, colder than normal weather, or  
16 warmer than normal weather?

17 A: I would hope they'd be considering normal  
18 weather.

19 Q: Thank you. Okay. Is it your understanding that  
20 the company's proposed weather normalization clause would  
21 act to adjust customers' bills based upon variances in  
22 weather before the bills are issued?

23 A: That's my understanding. It's on a real-time  
24 basis; I think is how I described it.

25 Q: Okay. So would you agree in a winter month--

1 let's take the month of December 2013--is colder than  
2 normal, then the non-fuel portion of the customer's bill  
3 would be lower than it would otherwise be?

4 A: If it was colder than normal?

5 Q: If it was colder than normal that the non-fuel  
6 portion of the customer's bill may be lower than it would  
7 otherwise be.

8 A: Depends on how the bill of the units are priced.  
9 I mean, if there's fixed cost in the variable component  
10 then they will pay more fixed cost under colder, higher-  
11 use model than they would under a lower-use model.

12 Q: If I could just clarify my previous question.  
13 Would you agree if a winter month is colder than normal,  
14 if the company's proposed steam weather normalization  
15 clause as applied then the non-fuel portion of the  
16 customer's bill would be lower than it would otherwise be?

17 A: It would be restated to normal weather  
18 conditions, yes.

19 Q: And would you agree that if a month is warmer  
20 than normal and the customer's fuel charges would be lower  
21 than the customer had planned and the delivery charges,  
22 although adjusted upward by the application of the steam  
23 weather normalization clause, would still be lower than  
24 would have been the case under normal weather?

25 A: Long question. To make sure I understand your

1 question, if it was warmer than normal and sales were  
2 lower than normal sales, would the company under-recover  
3 its fuel costs?

4 Q: No. That was not my question so let me restate  
5 it. So what I'm saying is that in a month that's warmer  
6 than normal, a customer--again, you say as a general  
7 matter, we're taking a customer that's planning for normal  
8 weather, okay? So if a month turns out to be normal--  
9 warmer than normal, then the customer's fuel charges  
10 should be lower because they used less heat, correct?

11 A: Well, on a per-unit basis, I don't know if that's  
12 accurate because the lower fuel use would correspond with  
13 the lower actual billing deliveries. Until you adjust for  
14 the normalization adjustment. So you're--

15 Q: [Interposing] Will you accept that the company's  
16 normalization adjustment adjusts the delivery charge and  
17 not the fuel charge?

18 A: Can you repeat your question?

19 Q: Okay. Would you agree that in a warmer than  
20 normal month that the customer's fuel charges would be  
21 lower than they would be when the customer had planned for  
22 normal weather, since the weather normalization clause  
23 does not adjust the fuel component?

24 A: That would depend on the price of fuel and the  
25 non-weather related impacts on cost of fuel. Gas prices

1 are higher, coal prices change relative to what the  
2 customer was expecting. I mean, the fuel price is going  
3 to be what the fuel cost is.

4 Q: I agree with you, the fuel prices would be what  
5 the cost is. So we go into a month, and after the month,  
6 the fuel price is what it is. And all I'm saying is that  
7 if the customer used less fuel then they're going to pay--  
8 the portion of their bill for fuel cost is going to be  
9 lower that month than if the weather had been colder and  
10 they had used more fuel that month.

11 A: That's true.

12 Q: And with respect to the delivery component of the  
13 bill, so they used less steam because the weather was  
14 warmer than normal. And what I'm asking you is that would  
15 you agree that under the company's steam weather  
16 normalization clause, while that delivery component may be  
17 adjusted upward that the delivery charges that the  
18 customer would pay that month would still be lower than  
19 they would otherwise pay during a normal weather month?

20 A: It would be consistent with a normal month  
21 billing.

22 Q: Thank you, Mr. Gorman. We'll move on to another  
23 topic now, please. On Page 6 of your testimony, you  
24 indicate that it does not make sense for the company to  
25 continue to set interruptible rates based on the cost of

1 alternate fuels as proposed by the company. Is that  
2 correct?

3 A: Yes.

4 Q: Okay. You're talking about, in this context,  
5 when you use the term interruptible rates, company's SC12  
6 rate 1 and SC9 rate B customers?

7 A: Yeah. But what is referred to as a rate 1  
8 interruptible customer.

9 Q: Would you agree with me that the company's  
10 pricing mechanism for SC12 rate 1 customers today has a  
11 floor of an equitherm [phonetic] and a ceiling of the rate  
12 otherwise charged to firm customers?

13 A: Yes.

14 Q: And that the company's not proposing to change  
15 those parameters for setting the rate?

16 A: Did you say for SC9 customers? Or was that SC12  
17 customers?

18 Q: Both.

19 A: Well, I believe there is a change in the  
20 reconciliation for SC9 customers to go--or excuse me, SC12  
21 customers to delivery component revenues on the bill. So  
22 that is one change.

23 Q: That's a fair comment. So other than the  
24 possible change in terms of reconciling cost on an annual  
25 basis, though, basically the rate today is capped by the

1 otherwise applicable firm service rate?

2 A: That's not necessarily the case for a sales  
3 customer to reconcile to delivery component.

4 Q: Okay. But you agree with me that today all  
5 customers on the Con Edison system have the opportunity to  
6 purchase their gas supply from a third-party supplier?

7 A: That's my understanding, yes.

8 Q: On Page 12, Line 7 of your testimony, you state  
9 that pricing interruptible customers higher than firm  
10 service customers is a significant disincentive for  
11 customers that are capable of taking service on an  
12 interruptible basis and logically will lead to  
13 interruptible customers seeking to migrate to firm  
14 service. Do you remember that reference in your  
15 testimony?

16 A: I do, yes.

17 Q: Okay. Are you aware that the company's current  
18 tariff already provides for situations in which the  
19 company may charge interruptible customers rates higher  
20 than firm service?

21 A: It's my understanding of firm rate it would cap  
22 it at firm service.

23 Q: Mr. Gorman, we're going to be handing to you a  
24 copy of the company's gas tariff leaf 332. Do you have  
25 that before you?

1           A:    I do.

2                   MR. RICHTER:  Your Honor, we request that  
3           this tariff leaf be marked for identification.

4                   ALJ AGRESTA:  It'll be marked Exhibit 804  
5           for identification.

6           Q:    Mr. Gorman, if I can point your attention to the  
7           middle of the second paragraph on that tariff leaf, the  
8           paragraph beginning with the words a minimum rate shall be  
9           set.  About halfway down that paragraph is a line that  
10          begins—it's the sentence that begins the reconciliation  
11          shall exclude.

12          A:    Yes.

13          Q:    So do you see that there are circumstances today  
14          under the company's tariff where in the terms of  
15          performing an admirable reconciliation there's a  
16          possibility that customers would pay above the firm rate?

17          A:    Yes.

18          Q:    Are you aware of any interruptible customers on  
19          the company's system that have converted to firm service  
20          because of this provision?

21          A:    I am not.

22          Q:    As you mentioned a moment ago, you are aware that  
23          the company is proposing a change in the reconciliation  
24          mechanism that would provide additional opportunities for  
25          the interruptible rate to be higher than the firm rate by

1 reconciling the delivery component column. Is that  
2 correct?

3 A: Yes.

4 Q: Would you agree that the gas supply that the  
5 company purchases in order to serve full service  
6 interruptible customers is not marked up by the company,  
7 it's just flowed through at cost?

8 A: That's my understanding, yes.

9 MR. RICHTER: I have no further questions,  
10 Your Honor. Thank you, Mr. Gorman.

11 ALJ AGRESTA: Any redirect?

12 MR. LANG: May we have a second, Your Honor?

13 ALJ AGRESTA: Yeah, sure.

14 MR. LANG: Your Honor, we have one question  
15 on redirect.

16 ALJ AGRESTA: Okay. Proceed.

17 REDIRECT EXAMINATION

18 BY MR. KEVIN LANG

19 Q: Mr. Gorman, Mr. Richter was asking a number of  
20 questions about the impact of the weather normalization  
21 adjustment, whether it was colder weather, warmer weather.  
22 Do you recall that--

23 A: [Interposing] I do.

24 Q: --cross-examination? Is it your testimony, sir,  
25 that there are a number of factors that could affect what



1 the actual delivery bill is, weather only being one of  
2 those factors?

3 A: Yes.

4 Q: Thank you.

5 MR. LANG: Nothing further, Your Honor.

6 ALJ AGRESTA: Okay. Thank you. This  
7 witness is excused. DPS staff, if you could call the  
8 next witness.

9 MR. OSSIES: DPS staff would like to call  
10 the staff--excuse me--the Staff Gas Policy and Supply  
11 Panel.

12 ALJ BIELAWSKI: Raise your right hand for  
13 me, please. Do you swear or affirm that the  
14 testimony you are about to give will be the truth,  
15 the whole truth, and nothing but the truth?

16 MR. RIEBEL: I do.

17 MS. MIMI CHAN: I do.

18 ALJ BIELAWSKI: And do you adopt the pre-  
19 trial testimony as your sworn testimony in these  
20 proceedings?

21 MR. RIEBEL: I do.

22 MS. CHAN: Yes.

23 ALJ BIELAWSKI: Thank you.

24 M R. R I E B E L and M I M I C H A N,  
25 having been first duly sworn, testified as follows:

1 DIRECT EXAMINATION

2 BY MR. BRIAN OSSIES

3 Q: Panel, do you have any corrections to your  
4 testimony or exhibits that were previously filed in this  
5 matter?

6 MR. RIEBEL: No, we do not.

7 Q: Okay. Thank you.

8 MR. OSSIES: Your Honor, this panel is  
9 available for cross-examination.

10 ALJ AGRESTA: Okay. Astoria Generation.

11 CROSS-EXAMINATION

12 BY MR. DAVID JOHNSON

13 Q: Good afternoon, panel. I am David Johnson,  
14 counsel to Astoria Generating Company. Could you please  
15 turn to Page 16 of your rebuttal testimony? And lines--

16 MR. RIEBEL: Did you say rebuttal?

17 Q: Yeah. Direct. Excuse me.

18 MR. RIEBEL: Okay.

19 Q: On Lines 1 through 4, you testified that the  
20 power generators taking transportation service are giving  
21 a 10% dead band before any charges are assessed from  
22 imbalances. This level is too high. Is that correct?

23 MR. RIEBEL: Yes, that's what we wrote.

24 Q: Was that level too high when this tariff  
25 provision became effective in 1999?

1 MR. RIEBEL: Well, we--this provision is--  
2 as you say, this has been in place since 1999. I  
3 assume there were reasons that the level was put  
4 forth at that time, that we--we are addressing what  
5 is currently in--sorry. I don't know.

6 ALJ AGRESTA: Try and speak a little louder  
7 too.

8 MR. RIEBEL: Regard--I'm sorry. Regarding  
9 1999, if that's the timeframe that this was put in  
10 place, then I don't know if we can comment as to the  
11 reasons why that was put in at that time.

12 Q: Are you aware of any changes that have occurred  
13 between 1999 and today that would cause you to say that  
14 it's too high today?

15 MR. RIEBEL: As far as our testimony and  
16 why we are recommending that that is too high and it  
17 needs to be changed is that there is similarly  
18 situated customers in downstate utilities, other than  
19 Con Edison, that currently have a different rate at a  
20 lower level. And we want to provide consistency in  
21 the downstate area.

22 Q: Has the panel performed any studies that indicate  
23 the level of imbalances that power generators are causing  
24 on Con Edison's gas system?

25 MR. RIEBEL: We have not authored any

1 studies regarding that, no.

2 Q: In fact, power generators could be causing less  
3 imbalances today than when the currently effective balance  
4 and service charges for power generation customers went  
5 into effect in 1999. Is that correct?

6 MR. OSSIES: Your Honor, I'm going to  
7 object. I think that does call for speculation.

8 ALJ AGRESTA: I think they should have to  
9 answer the question. It may not be the most valuable  
10 question in the world, but I think they should have  
11 to answer.

12 MR. RIEBEL: I would ask the lawyer too,  
13 would you repeat the question, please?

14 Q: Isn't it true that power generators could be  
15 causing less imbalances today than when the currently  
16 effective balance and service charges went into effect in  
17 1999?

18 MR. RIEBEL: Yes, we would reply that since  
19 '99, a lot of time has passed and we believe that the  
20 generators--sorry--and the larger customers have more  
21 experience in this area and would be better able to  
22 manage imbalances.

23 Q: And what do you base that on?

24 MR. RIEBEL: We base that on the experience  
25 that we see in other areas of New York State.

1 Q: But isn't it true that many of the generators in  
2 New York City have been in service since the '50s?

3 MR. RIEBEL: I'm sorry. Can you repeat  
4 that?

5 Q: Isn't it true that many of the generators in New  
6 York City have been in service since the '50s? Same work.

7 MR. RIEBEL: I would have to take that  
8 subject to check, yes.

9 MR. DAVID JOHNSON: Your Honors, I'd like to  
10 mark for identification staff response to Astoria  
11 Generating interrogatory Agency 2.

12 ALJ AGRESTA: This one-page exhibit will be  
13 marked Exhibit 805 for identification.

14 Q: Panel, was this prepared by you or under your  
15 supervision?

16 MR. RIEBEL: Yes, it was.

17 Q: Could you please review your response to Question  
18 2B? Based on your response, is it correct to state that  
19 staff has not performed any studies or analyses that  
20 demonstrate that the cost of power generation posed on Con  
21 Edison's gas system when they cause imbalances?

22 MR. OSSIES: Your Honor, I'd just like to  
23 object. It says staff didn't perform any formal  
24 studies. No objection.

25 MR. RIEBEL: Can I have you repeat the

1 question?

2 Q: Is it correct to state that staff has not  
3 performed any studies or analyses that demonstrate that  
4 cost that power generators impose on Con Edison's gas  
5 system when they cause imbalances?

6 MR. RIEBEL: Staff reviewed other  
7 territories in what's happening there and--but as far  
8 as formal study, no, this response--as we understand,  
9 by the response here, that we did not perform a  
10 formal studies on this issue.

11 Q: So you reviewed other service territories, but  
12 you haven't reviewed how the generators that are in Con  
13 Edison's service territory that take gas on Con Edison's  
14 system, what cost they're imposing on Con Edison's system?

15 MR. RIEBEL: We looked at both Con Edison  
16 and other territories in New York State when looking  
17 at this issue, yes.

18 Q: So you do have data that demonstrates what the  
19 cost are that generators impose on the Con Ed's system  
20 when they cause imbalances?

21 MR. RIEBEL: We do not have data to present  
22 regarding that.

23 Q: Please turn to Page 16 of your testimony. You're  
24 already there. You recommend that the company rework the  
25 cash-out tiers so that the dead band ends at 2%, and you

1 provide an example of how that should be done. Is that  
2 correct?

3 MR. RIEBEL: That's correct.

4 Q: When you use the word example, is this your  
5 recommendation or are you suggesting that the cash-out  
6 tiers could be arranged in some other manner?

7 MR. RIEBEL: This is one example of how  
8 this might work within those cash-out percentages.  
9 This is just one particular example of how that would  
10 work.

11 Q: So what exactly are you recommending the  
12 commission do? Are you recommending the commission direct  
13 Con Edison to develop cash-out tiers? How would the  
14 commission--

15 MR. RIEBEL: [Interposing] We--

16 Q: --decide what to do?

17 MR. RIEBEL: We set the levels between 2  
18 and 10%, with particular cash-out levels at different  
19 percentages. And we think this is a reasonable way  
20 of accomplishing those goals, but we do not  
21 necessarily think this has to be the end of all of  
22 how that--how those numbers could be provided.

23 Q: So it's possible then that Con Edison could work  
24 with its customers, power generators, to develop how those  
25 cash-out tiers should be structured?

1 MR. RIEBEL: Right. Within the 2 to 10%  
2 level, yes.

3 Q: And would you agree that under the existing  
4 tariff, power generators that have balances that exceed--  
5 imbalances that exceed 2% when they're charged for gas,  
6 that there is a penalty?

7 MR. RIEBEL: Could I have you repeat that  
8 question?

9 Q: When a power generator causes an imbalance that's  
10 greater than 2%, the--what they have to pay for gas in  
11 cash-out, they incur a penalty because of the price of gas  
12 that they're paying for?

13 MR. RIEBEL: Yes. There's a premium placed  
14 on that level, yes.

15 Q: Okay. And my final question. Does staff  
16 participate in the marketer collaborative?

17 MR. RIEBEL: We have participation in the  
18 collaborative, yes.

19 Q: Okay. Thank you.

20 MR. JOHNSON: I have no further questions.

21 ALJ AGRESTA: Con Edison?

22 MR. RICHTER: Thank you, Your Honor.

23 CROSS-EXAMINATION

24 BY MR. MARC RICHTER

25 Q: Good afternoon, panel.



1 MR. RIEBEL: Good afternoon.

2 Q: Can I ask you to please turn to Page 5, Line 4 of  
3 your testimony? If I could clarify something, which might  
4 basically entail a small correction. Am I correct that  
5 your statement that says--in fact, let me read the whole  
6 sentence. On Page 5, Line 4, for the benefit of everyone  
7 in the room, says on the design date, the company projects  
8 that it will need to provide 1,274,000 dekatherms per day  
9 of firm load during the 2013 through '14 winter season.  
10 And then it says, with an increase of 1,419 MDT per day  
11 for the 2015 through 2016 winter season. Am I correct  
12 that should read with an increase to 1,419 MDT per day?

13 MR. RIEBEL: Yes, you are correct.

14 Q: Thanks. I just wanted to clarify that for  
15 purposes of the record. If you can now turn to Page 6,  
16 Line 11 of your testimony where you state there will  
17 likely be--there will likely need to be additional supply  
18 brought into the city in the future in order to meet the  
19 longer-term increased demand tied to plan NYC initiative.

20 MR. RIEBEL: Yes.

21 Q: See that testimony? Thank you. Now, on Page 7,  
22 Line 6, you indicate that in order to mitigate the amount  
23 of capacity needed to meet winter design conditions  
24 associated with increased demand that that panel  
25 recommends that the company manage its interruptible--I'm

1       sorry, manage its level of interruptible service for  
2       current customers and encourage new customers to utilize  
3       this option. Do you see that testimony?

4               MR. RIEBEL: Yes.

5               Q: And so when you say encourage customers to  
6       utilize this option, do you mean encourage customers to  
7       take interruptible service?

8               MR. RIEBEL: Yes. We believe interruptible  
9       service should be an option for existing customers  
10      and new customers as well.

11      Q: And it is an option today, isn't it?

12              MR. RIEBEL: It is.

13      Q: But the testimony in this case is to encourage  
14      that option, to encourage--I'm trying to understand your  
15      proposal in this case. Your testimony says it's to  
16      encourage that option. So what do you mean by encourage?

17              MR. RIEBEL: Well, basically, we want to  
18      make sure that this option is maintained in the  
19      future. And we don't want new customers just to be  
20      given an option of going on, on a firm basis.

21      Q: Okay. And what's generating your concern that  
22      his option was going to be eliminated?

23              MR. RIEBEL: Well, this goes to the rates  
24      panel and what they have testified to, but we saw  
25      things in the rates panel, testimony that led us to

1 believe that there may, in fact, be, you know, be a,  
2 you know, an effort, I guess, for lack of a better  
3 word, for the companies to bring folks on as firm  
4 customers and not provide that interruptible option  
5 going forward.

6 Q: Okay. And when you say not provide that  
7 interruptible option going forward, I guess other than the  
8 company's proposal, I guess, to limit prospectively  
9 interruptible service of very small customers, the company  
10 has not proposed to eliminate that option for customers to  
11 choose in the future. Isn't that correct?

12 MR. RIEBEL: I would have to agree, subject  
13 to check, I guess.

14 Q: Okay. And are you familiar with the testimony of  
15 the Staff Gas Rate Panel?

16 MR. RIEBEL: Not entirely, no.

17 Q: Okay. Well, you do--I think you are, at least in  
18 some respect. I'm thinking on Page 7 to the top of Page 8  
19 of your testimony, you indicate, therefore providing  
20 additional incentives to retain and grow the company's  
21 interruptible customer base should be an important part of  
22 the company's supply plans. Incentives for interruptible  
23 customers are discussed in more detail in the Staff Gas  
24 Rate Panel's testimony.

25 MR. RIEBEL: I see that, yes.

1 Q: All right. So you're aware that the Staff Gas  
2 Rate Panel that's proposed to modify, that the company  
3 modify its interruptible rates to provide an incentive for  
4 interruptible service?

5 MR. RIEBEL: Yes. As stated in the  
6 testimony, yes.

7 Q: So by an incentive, it's a change in the rate  
8 intending to affect behavior, make that service more  
9 attractive to customers choosing as between interruptible  
10 and firm service?

11 MR. RIEBEL: Well, again, as I said, I  
12 don't have a lot of the detail behind the Staff Rate  
13 Panel testimony so I don't want to define that term  
14 incentive here and say that it is exactly as you  
15 suggested.

16 Q: Okay. In fact, I think you can check. The Staff  
17 Gas Rate Panel does not define the incentive. It  
18 basically, I think, recommends that the company perform a  
19 study, you know, to develop, you know, an incentive. What  
20 I'm trying to understand is the totality of the staff  
21 position as between your panel and the Staff Gas Rate  
22 Panel. If you read it as encouraging and providing  
23 incentives, you know, for interruptible service, which  
24 appears to me to be more than just maintaining the option-  
25 -

1 MR. OSSIES: [Interposing] Your Honor, I--  
2 Q: --with the interruptible service.

3 MR. OSSIUM: --I am going to try to object  
4 again. I think some of these questions are now going  
5 more towards the Staff Gas Rate Panel. There's a line  
6 in this testimony that simply refers to the Staff Gas  
7 Rate Panel. The company is starting to delve into  
8 issues that are better addressed by that panel.

9 MR. RICHTER: If I may, Your Honor, the  
10 reference to the Staff Gas--

11 ALJ AGRESTA: [Interposing] Hold on. My  
12 understanding of the incentives that the Staff Gas  
13 Rate Panel is talking about is that there remain a  
14 price differential between firm rates and  
15 interruptible rates, such that some customers will  
16 actually want interruptible rates. They were not  
17 talking about a payment incentive of any kind to be  
18 paid to customers. Okay?

19 MR. OSSIES: That's correct.

20 ALJ AGRESTA: So if we all will agree with  
21 that understanding of what incentives means--

22 MR. RICHTER: [Interposing] I agree in that  
23 context, Your Honor.

24 ALJ AGRESTA: --let's move on.

25 MR. OSSIES: Thank you.

1 ALJ AGRESTA: So ask whatever you need to  
2 ask, but let's try not to define incentives anymore,  
3 other than what I just said.

4 MR. RICHTER: And I agree with Your Honor  
5 that we're not talking about any type of payment to  
6 interruptible customers.

7 Q: But again, putting aside the Staff Gas Rate  
8 Panel's proposal and just your testimony, you say that you  
9 testified to providing additional incentives to retain and  
10 grow the company's interruptible customer base should be  
11 important part of the company's supply plans. And I guess  
12 I'm just trying to understand what you mean by providing  
13 additional incentives, other than the company maintaining  
14 on its books, as it has today, interruptible service as an  
15 option for customers.

16 MR. OSSIES: Your Honor, again, I'm going to  
17 object. There seems to be some other words being  
18 added to the testimony of this panel by the company.  
19 That's, of course, changing the, you know, the  
20 company's testimony--excuse me--has changed staff's--

21 ALJ AGRESTA: [Interposing] No, the--

22 MR. OSSIES: [Interposing] I object to the  
23 form of the question.

24 ALJ AGRESTA: The testimony says, therefore,  
25 providing additional incentives to retain and grow the

1 company's interruptible customer base should be a  
2 important part of the company's supply plans. That's  
3 virtually exactly what Mr. Richter said.

4 MR. OSSIES: Thank you.

5 ALJ AGRESTA: So are you asking that there  
6 be any other incentive other than what the Staff Gas  
7 Rate Panel had suggested there be?

8 MR. RIEBEL: No. We are not asking for  
9 anything additional to the Staff Rate Panel  
10 testimony.

11 ALJ AGRESTA: Does that help you any, Mr.  
12 Richter?

13 MR. RICHTER: I'm not sure.

14 ALJ AGRESTA: Okay.

15 MR. RICHTER: If I can continue.

16 ALJ AGRESTA: Please continue.

17 Q: On a going-forward basis--strike that. Let me  
18 just try this one question. When you talk about the  
19 company growing the company's interruptible customer base,  
20 are you talking about how that customer base may grow just  
21 by reason of the interruptible rate remaining an option  
22 for customers and then customers deciding as between firm  
23 and interruptible?

24 MR. RIEBEL: I need you to rephrase the  
25 question, if you could.

1 Q: I'll ask a different question. Would your panel  
2 feel it was a bad result if customers going forward, for  
3 argument's sake, selected firm service exclusively over  
4 interruptible service?

5 MR. RIEBEL: If I understand the question,  
6 you're asking if all new customers came on from this  
7 point forward as firm customers, would we have an  
8 objection to that.

9 Q: Would you consider that a bad result?

10 MR. RIEBEL: Yeah. I think we would, yes.

11 Q: So then when you say the company should be  
12 encouraging customers to take interruptible service, are  
13 you looking for the company to encourage customers,  
14 individual customers, to move in one direction or another  
15 as between the two services, depending upon how company's  
16 relative firm and interruptible customer bases are  
17 growing?

18 MR. RIEBEL: The intent here is to provide  
19 the option for customers going forward.

20 Q: And I guess what I'm trying to understand here is  
21 that is it just an option that remains on the book and the  
22 company and the customer makes their choice? Or whether  
23 or not you're looking for some type of customer behavior  
24 which will move customers choosing those options towards a  
25 particular result?



1 MR. RIEBEL: This is a customer option.

2 Ultimately, what they choose to do--

3 Q: [Interposing] Agreed. And I'm looking to  
4 understand just your testimony, are you looking for the  
5 company to take any type of actions which might influence  
6 those customers' decision in order to maintain a certain  
7 level of interruptible service as compared to firm  
8 service.

9 MR. RIEBEL: Well, I think I'd like to  
10 rephrase the answer a little differently than you're  
11 suggesting, is that instead of encouraging customers  
12 to choose the interruptible option, we want to make  
13 sure that that customer is not somehow told that that  
14 is not available to them.

15 Q: And again, as of today, there's no proposal by  
16 the company on the table, other than the issue of  
17 threshold level for small customers going forward, to pull  
18 that option off the table, correct?

19 MR. RIEBEL: As the testimony states on  
20 Page 7, Lines 12 and 13 and 14, it's our  
21 understanding that the company is forecasting the  
22 majority of all new load to come on as firm load. So  
23 that's the genesis of where--of our position.

24 Q: And is it your impression that company's  
25 projection of all new load--your understanding that it's

1 the projection that all new load coming on will be firm  
2 load is not a good result; and therefore, the company  
3 should be taking steps to change that direction in terms  
4 of what customers may be electing?

5 A: Well, again, I just said earlier, ultimately  
6 it's up to the customer to decide. We just want to make  
7 sure that these customers that are coming to the company  
8 for service are aware that they have options.

9 Q: And if they're aware that they have that option,  
10 but they choose firm service, you have no problem with  
11 that?

12 A: If the customer chooses that and they've been  
13 given two options, yeah, that's all we can ask for.

14 Q: Panel, am I correct that it's the staff's view  
15 that the company does not need to acquire additional firm  
16 pipeline capacity for a gas supplier, other upstream  
17 assets like storage, in order to meet the requirements of  
18 interruptible customers?

19 A: In what time frame are you referring?

20 Q: Just when the company plans its supply  
21 portfolio, they should be planning to meet the needs of  
22 firm customers and not to meet the needs of interruptible  
23 customers.

24 A: Right. I would agree with that.

25 Q: Panel, if I could ask you to turn to page eight,

1 line eight of your testimony, and just for the benefit of  
2 the record, the statement that reads, "the company  
3 acknowledged that it cannot build out its existing system  
4 at a pace that would provide sufficient and reliable gas  
5 service to all current heavy fuel oil users within a short  
6 few years. This will take time to accomplish and the  
7 company has implemented a plan to address this potential  
8 new load by upgrading its mains, adding regulators to  
9 bolster system pressures, and finding additional upstream  
10 capacity to bring into its service territory." Do you  
11 have that portion of your testimony in front of you?

12 A: Yes.

13 Q: Thank you. Can you point me to any publicly  
14 available statements by the company indicating that it's  
15 unable to meet the demands of customers requesting firm  
16 service?

17 A: I just want a clarification. Are you referring  
18 to supply into the system or infrastructure within the  
19 system?

20 Q: Both.

21 A: If you're referring to this part of the  
22 testimony, the staff is basically acknowledging the fact  
23 that there are a lot of potential load of customers that  
24 could be coming onto the system in the near future, and in  
25 the next few years, we don't believe it's reasonable to

1 expect these customers can all be brought on within that  
2 short time frame, and if--if and when all this load does  
3 come on the system, the company will need to access more  
4 supply as the-- to meet the needs of the new load.

5 Q: Okay. But would you agree with me that in terms  
6 of if and when all or some of that portion of potential  
7 load comes on the system is a function of more than the  
8 company's ability to acquire additional pipeline capacity,  
9 gas supply, build infrastructure? A lot of it also is  
10 whether or not they decide, as we discussed a few minutes  
11 ago, interruptible versus firm service, whether or not  
12 it's customer choice. When the customer itself chooses to  
13 come on the system.

14 A: I would agree that that's a portion of the  
15 equation.

16 Q: But right now, based upon customer's request for  
17 firm service, the company is acting to meet the customer's  
18 request for firm service.

19 A: In the near term, the company has plenty of  
20 supply faceted to meet that new firm load that is  
21 projected to come on.

22 Q: Are you familiar with the company's pending  
23 tariff filing proposing an area growth program?

24 A: Yes, I am.

25 Q: Does staff recommend that the company include

1 interruptible customers in that area growth program?

2 A: Understand, that tariff filing is still under  
3 review and it is separate from this proceeding. I don't  
4 know ultimately what that conclusion will be and the  
5 timing of that.

6 Q: So when you say the conclusion and the timing, I  
7 agree it's a pending tariff filing with the Commission.  
8 What I'm asking, if you know and if you have an opinion,  
9 whether this panel has an opinion as to whether or not the  
10 company should include interruptible customers in that  
11 program?

12 MR. OSSIES: Your Honor, I'm going to  
13 object, this being outside the scope.

14 ALJ AGRESTA: He asked him if he knows.

15 A: I would answer that I do not know that answer at  
16 this time.

17 Q: Thank you. If you could turn to page 11 of your  
18 testimony where you described the tolerance band for daily  
19 balancing services. Take a look at testimony starting on  
20 line 22. You got that reference?

21 A: Mm-hmm.

22 Q: Now you indicate that surplus imbalances are  
23 cashed out using the Transco Zone Three, well head price  
24 and that deficiency imbalances are cashed out using the  
25 Transco zone six, city gate price, correct?

1 A: That's correct.

2 Q: Am I correct that the discussion in this part of  
3 your testimony is applicable to non-firm customers other  
4 than power generation customers?

5 A: That is true, yes.

6 Q: And you discussed the balancing for power  
7 generation customers at the bottom of page 12.

8 A: Yes.

9 Q: And from that discussion, am I correct that the  
10 dead band and price levels are the same, though, for the  
11 power generation customers as they are for the other non-  
12 firm customers, too?

13 A: Yes, that's correct.

14 Q: Okay. Now, on page 13, you state that the  
15 company is using, and I quote, "inconsistent reference  
16 points," close quote, when cashing out customers. Do you  
17 see that reference?

18 A: Yes.

19 Q: Okay. By inconsistent, you mean different?

20 A: That's correct.

21 Q: And staff is recommending a change to the  
22 Transco Zone Six index for both surplus and deficiency  
23 imbalance, is that correct?

24 A: Right. We're recommending that the same-- in  
25 this part of the testimony, we were recommending that the

1 same reference would be used for both deficiency and  
2 surplus.

3 Q: Thank you. And this proposed change would be  
4 applicable to all interruptible and non-firm customers  
5 including power generation customers, so it's an across  
6 the board change?

7 A: Can you repeat that?

8 Q: Okay. And this proposed change by staff would  
9 be applicable to all interruptible and non-firm customers  
10 including power gen customers?

11 A: Yeah. We would agree with that.

12 Q: Thank you. Now you state that you're proposing  
13 the change for the Transco Zone Six for surplus  
14 imbalances. I'm sorry. Let me restate. You state that  
15 you're proposing to use Transco Zone Six for surplus  
16 imbalances because using this index, quote, "gives the  
17 proper market signal to all participants in the city's  
18 market area," close quote. With that statement--

19 A: [Interposing] I'm sorry. Can you give me the  
20 reference?

21 Q: It would be on page 13, lines 21 through 23.

22 A: Okay.

23 Q: Now with that testimony in mind, does staff  
24 agree that it's in the interest of all customers that  
25 imbalances, including surplus imbalances, be minimized?

1 A: Yes.

2 Q: If you could, if you could explain why the panel  
3 believes that a change in the reference index from Transco  
4 Zone Three to Transco Zone Six will provide an incentive  
5 for marketers and power generators to minimize surplus  
6 imbalances?

7 A: I'm not sure the testimony--what's exactly the  
8 question that you presented?

9 Q: Okay. So the Transco Zone Six price is higher  
10 than the Transco Zone Three price that's in effect today  
11 for surplus imbalances? Would you agree with that?

12 A: Subject to check.

13 Q: So that if your objective is to minimizing  
14 balances, what I'm trying to understand is by changing  
15 from the Transco Zone Three price to a higher Transco Zone  
16 Six price, which would be the entire payment to marketers  
17 or power generators that deliver extra gas into the system  
18 provides an incentive for them to minimize imbalances,  
19 since under your proposal, the reimbursement they would  
20 receive would be higher than what is in effect today.

21 A: I guess I would respond to that by saying that  
22 we-- in suggesting that Transco Zone Six be the preference  
23 price for both surplus and deficiencies was used because  
24 this is the market price in the New York City area and we  
25 felt, as the testimony says here, we would also provide



1 consistency with what the neighboring downstate utility is  
2 offering.

3 Q: Okay. So then I remember those portions of your  
4 testimony which indicate this change would provide  
5 consistency with another downstate tariff. I'll accept  
6 for purposes of this question that zone six is the city  
7 gate market price, a surrogate for the city gate market  
8 price, but again, would you agree that a change in the  
9 tariff which provides somebody delivering gas to the New  
10 York City gate with a higher price than is in effect  
11 today, with a higher price for gas for over deliveries  
12 that is in effect today, is not going to provide an  
13 incentive to them to minimize surplus imbalances?

14 A: I would just ask you to repeat the question so I  
15 make sure I understand the scenario.

16 Q: So accepting that there's another tariff in  
17 place today that provides for the circumstance of which  
18 you're trying to make the Con Edison tariff consistent,  
19 would you agree with me, though, that when you offer  
20 somebody a higher price that is in effect today for extra  
21 deliveries of gas they make into the system, that's not  
22 going to provide them an incentive to minimize imbalances?

23 A: Let me respond by-- the hypothetical scenario  
24 that you presented is-- it's just that. It's a  
25 hypothetical. We think there's potentially more issues at

1 play and we wouldn't be able to provide you with a yes or  
2 no answer right now.

3 Q: By your response you're saying that there are  
4 other factors that might influence whether a customer  
5 over-delivers gas or not under the company's  
6 transportation program?

7 A: I'd have to respond by repeating the response I  
8 gave earlier, that this particular Transco Zone[background  
9 noise] market price in the New York City area and this is  
10 the area-- this is the price we wanted to use for  
11 generators, for imbalances, rather, and again, consistent  
12 with what's happening in the other downstate utility.

13 ALJ AGRESTA: But isn't it true that a  
14 higher price would encourage more surplus deliveries,  
15 but symmetrically it would also discourage more  
16 deficiency supply 'cause the deficiency, they'd have  
17 to pay a higher price to make up the deficiency  
18 whereas if they had surplus, they would get more  
19 money?

20 MR. RIEBEL: I don't understand, when a  
21 customer over-delivers into the system, they do not  
22 just get the-- they don't receive the cost of gas.  
23 There's a discount off the cost of gas that they  
24 receive if they over-deliver.

25 ALJ AGRESTA: Okay. But it's a higher cost

1 of gas than they previously had to deal with, so  
2 they're getting more revenue than under the current  
3 rates. So there's a little bit of an incentive there  
4 for them to over-supply.

5 MR. RIEBEL: Again, not having all the data  
6 of those points over in front of me here, I would  
7 answer by saying potentially it could be higher, but  
8 it could also be lower.

9 ALJ AGRESTA: So would that be offset by  
10 the fact that if they had a deficiency, it would cost  
11 them more? Or does it not matter? Would they all  
12 just start delivering surplus?

13 MR. RIEBEL: By them, you're referring to  
14 the customer.

15 ALJ AGRESTA: Yes.

16 MR. RIEBEL: I'm sorry. Could you repeat  
17 that question?

18 ALJ AGRESTA: Well, it seems to me that if  
19 there's a higher price, there's more of an incentive  
20 to over-supply, but if there's a higher price,  
21 there's also more of an incentive to not be  
22 deficient, and I'm wondering if the two counteract  
23 each other such that it doesn't matter, or whether  
24 they won't counteract each other.

25 MR. RIEBEL: It's hard for me to respond

1           because we'd have to have exact numbers. It's  
2           difficult to exercise, to see those-- see how that  
3           would develop.

4                       ALJ AGRESTA: Okay.

5           Q: Panel, if I could just clarify something for the  
6           record in relation to the questions just asked by Your  
7           Honor, in terms of a higher price for deficiencies on the  
8           company's system, am I correct that the current tariff  
9           already uses the higher Transco Zone Six price for  
10          deficiencies, and that your proposal in this case is only  
11          the change the reference for surplus from Zone Three up to  
12          Zone Six?

13          A: Correct. Transco Zone Six is currently used for  
14          deficiencies, and we're suggesting that it also be used  
15          for surplus.

16          Q: And I understand in certain contexts the value  
17          of consistency. I propose for consideration it's  
18          impossible there may be a different utility's tariff is  
19          the issue.

20          A: But we're on the Con Ed case now so this is the  
21          one that we're focusing on.

22                       ALJ AGRESTA: Okay. I think I understand  
23          the issue. Let's move on to something else.

24          Q: Okay. If you can please turn to page 15 of your  
25          testimony and reference your statement starting on line

1 five where you say that tightening the dead band will  
2 decrease the assets the company needs to retain to account  
3 for the 10% fluctuation in volumes for which there is no  
4 additional charge.

5 A: I see that.

6 Q: Is it staff's-- would you agree with me that  
7 earlier I asked you and you agreed that the company only  
8 acquires upstream assets, storage, firm supply, pipeline  
9 capacity, in order to meet the needs of its firm  
10 customers?

11 A: I recall that, yes.

12 Q: Then can you please state the basis for staff's  
13 statement assertion that a change in the dead band would  
14 or should enable the company to decrease these assets?

15 A: When a dead band is at a 10% level, there's a  
16 certain amount--there's a certain obligation on the company  
17 to have available the supply capacity to serve that level.  
18 Assuming these customers have an imbalance at that level,  
19 if we were to reduce the dead band down to 2%, which is  
20 what we're suggesting--or for generators, I'm sorry--for 5%  
21 to the daily customers, there would be less of those--  
22 less obligation on the company to have that additional  
23 load delivered through its system to meet that  
24 differential.

25 Q: So I just want to clarify here. We're talking

1 about balancing deliveries here. We're talking about  
2 balancing for interruptible customers, non-firm customers,  
3 not the company's firm customers, correct?

4 A: The transportation customers are also included  
5 in this.

6 Q: The interruptible transportation customers, am I  
7 correct? In terms of the proposal you make here, I  
8 thought we've only been talking about changes to cash-out  
9 charges and dead bands associated with interruptible, non-  
10 firm customers, not the firm customers.

11 A: I would agree with that.

12 Q: Okay. And so when you speak of-- I thought I  
13 heard you mention an obligation to balance for  
14 interruptible customers. Would you agree with me that the  
15 company has provisions either in its tariff or its gas  
16 transportation operating procedures commonly known as a  
17 GTOP, which basically says that if we don't have enough  
18 capacity in our existing portfolio required for the firm  
19 customers? We can visit new things like OFOs, operation  
20 flow orders to force the interruptible markets in terms of  
21 the deliveries to our systems.

22 A: Yes. I would agree that the company has those  
23 options available to them.

24 Q: So there really shouldn't be any assets required  
25 for firm customers. It's still needed it to provide

1 service to firm customers that can be reduced because the  
2 dead bands or cash-out charges may be changed for  
3 interruptible customers. Would you agree?

4 A: I'm just not sure I could make that  
5 acknowledgment at this time. No.

6 Q: Okay. So, again the company acquires upstream  
7 assets, a different combination of them to meet the needs  
8 of firm customers, correct?

9 A: Correct.

10 Q: And you agreed earlier they don't require  
11 upstream assets to meet the needs of interruptible  
12 customers.

13 A: Correct.

14 Q: And on any day or days, there might be  
15 additional capacity flexibility in those assets to provide  
16 various services to interruptible customers, including  
17 balancing.

18 A: Correct.

19 Q: But that if interruptible customers are forced  
20 basically to more closely manage their deliveries to the  
21 city gate to their needs, to the extent the company has  
22 demonstrated a need for those assets to serve firm  
23 customers, there'd be no reason for the company to have  
24 the ability to reduce those assets just because  
25 interruptible customers are performing with that entire

1 delivery dead band.

2 A: We would agree that the company has options to  
3 deal with those scenarios that where there's over-  
4 deliveries and they do have these OFOs that you mentioned  
5 earlier as a mechanism to help with that. I don't have  
6 data in front of me here, but the OFOs-- I don't believe,  
7 going back a few years, there haven't been a lot of OFOs  
8 called by the company. So I guess what I'm saying, that  
9 would mean to me that that option can be used more  
10 effectively by the company.

11 Q: That the OFO option can be used more  
12 effectively?

13 A: Correct.

14 Q: Are you suggesting we should have used it more  
15 frequently?

16 A: I'm just suggesting that that is an option that  
17 I'm not sure has been used to its full extent.

18 Q: Okay. But again, how is using that option more  
19 frequently a basis for reducing assets that were required  
20 for and still needed to serve firm customers?

21 A: By using the OFOs the company will not have to  
22 deliver as much gas to these customers.

23 Q: I know this is a scenario from our earlier  
24 discussion that you probably don't want to hear, but for  
25 purposes of this question, the company acquires a set of



1 upstream assets to serve firm customers.

2 A: Right.

3 Q: And tomorrow all of the interruptible customers  
4 go to oil because contrary to everybody's expectations,  
5 the price drops through the floor. The company still  
6 needs those same assets to serve their firm customers,  
7 correct?

8 A: Yeah, that's correct.

9 Q: Thank you. If you could please turn to page 28  
10 of your testimony. On that page, am I correct that in  
11 your testimony, you recommend that the downward  
12 reconciliation of gas R&D expenses be continued? Do you  
13 see that reference?

14 MS. CHAN: Yes, that's correct.

15 MR. RICHTER: Thank you. Panel, I'd like  
16 to show you a copy of a response to the Con Edison  
17 interrogatories, set four, number 14 provided by your  
18 panel. Panel, am I correct that on the basis of this  
19 response, that your panel is amending its  
20 recommendation in this case to be consistent with  
21 that of the Staff Accounting Panel, which is that the  
22 downward only reconciliation mechanism be eliminated  
23 for the purposes of this one year case?

24 MS. CHAN: Yes, that's correct.

25 ALJ AGRESTA: Just one second. This

1 response was prepared by you under your direction?

2 MS. CHAN: Yes.

3 ALJ AGRESTA: Okay. Let me mark Exhibit  
4 806 for identification.

5 MR. RICHTER: Sorry, Your Honor. Thank  
6 you, panel. Your Honor, that completes my cross  
7 examination.

8 ALJ AGRESTA: Thank you. New York City,  
9 down to ten minutes.

10 MR. LANG: Thank you, Your Honor. I will  
11 try to be brief.

12 CROSS EXAMINATION

13 BY MR. KEVIN LANG

14 Q: Good afternoon, panel. My name is Kevin Lang.  
15 I'm an attorney with Couch White for the City of New York.  
16 I have a few questions for this afternoon. I just ask  
17 that if you don't understand my questions, please let me  
18 know and I'd be happy to rephrase it. All right. Turn  
19 your attention to page six of your testimony. When  
20 talking about the company's long terms of pipelines--  
21 excuse me-- you say that the company appears to be taking  
22 a proactive approach. Do you see that in line 23?

23 A: Yes.

24 Q: Could you explain what your basis is for  
25 claiming that the company is being proactive here?

1           A: This part of the testimony refers to the  
2 company's area growth program that they're currently  
3 running where they're addressing oil to gas conversations.

4           Q: Right. And under that approach, isn't it true,  
5 panel, that the company is actually being reactive to the  
6 requests that are made for oil to gas conversions rather  
7 than being proactive?

8           A: Yeah. The oil to gas situation that we have now  
9 is due to a directive from New York City.

10          Q: But what I mean is, it is, to your knowledge, is  
11 Con Edison going out and actively soliciting new gas  
12 customers or simply waiting to address those customers  
13 that are coming to it?

14          A: We believe the company is actively pursuing  
15 those customers.

16          Q: Do you know how they are actively pursuing them?

17          A: I mean, this is also being discussed in the  
18 infrastructure panel testimony, so perhaps they can  
19 continue that, but I will say that from our perspective  
20 that the company has created an oil to gas group and that  
21 is planning and building out the system to meet this  
22 anticipated load.

23          Q: But that's not the issue that I'm asking you.  
24 The issue that I'm asking you is, is it--you just  
25 testified a second ago that the company is proactively

1 reaching out to attract new customers, and my question to  
2 you is what proactive measures is it your understanding  
3 that the company is taking to attract these new customers?

4 A: As far as all the activities the company is  
5 undertaking to attract new customers, I guess I would  
6 defer to the company to respond to that. I'm aware of the  
7 oil to gas program that they've implemented. Also, they  
8 have a website where they're identifying the area growth  
9 and pinpoints particular street boundaries that the--  
10 where they will build and in what timeframe that will  
11 happen. Again, there could be a lot of other efforts that  
12 they are undertaking contacting these potential customers  
13 that I'm not aware of right now.

14 Q: I understand that you'd like me to defer to the  
15 company, but this is your testimony and I'm cross  
16 examining you on your testimony, and your testimony is  
17 that you believe the company is taking a proactive  
18 approach. I'd like to understand the basis of your  
19 testimony, not the company's testimony, and we'll talk to  
20 them on another day, but right now we're talking to you  
21 and I'd like to understand when you say the company is  
22 being proactive, what--is your only understanding of the  
23 company's measures this website that you just referred to?

24 MR. RIEBEL: Your Honor, if there is a  
25 question there, again I think the panel has asked and

1           answered the question several times.

2                       MR. LANG: I don't think he's answered it  
3           at all.

4                       ALJ AGRESTA: The question is are you aware  
5           of anything other than the website you described?

6                       MR. RIEBEL: I cannot provide you with  
7           specific activities that they're undertaking right  
8           now.

9           Q: On page seven, I know you had some discussion  
10          with Mr. Richter on this page, and I'm going to approach  
11          it from a different direction from what he did. I  
12          understand the panel's position as you've explained it  
13          both in your testimony and in your discussions with Mr.  
14          Richter about continuing to include interruptible  
15          customers. My question to you is how do you address the  
16          inequities that Con Edison has imposed on the  
17          interruptible customers? In other words, in lines 11 and  
18          12, you say that they should maintain this level of  
19          interruptible service and encourage new customers to take  
20          interruptible. Panel, are you aware that the company  
21          imposes very significant costs on new customers that want  
22          to take interruptible service, costs that are not imposed  
23          on firm service customers?

24                       MS. CHAN: Can you clarify costs are you  
25          talking about?

1           Q:    Sure.  When a new customers comes to Con Edison  
2           and seeks to connect to the system, that the company gives  
3           the customer two numbers.  If you're going to take firm  
4           service, they oftentimes will say its zero, although  
5           sometimes it's in the millions of dollars, but if you're  
6           an interruptible customer, the debt cost can be hundreds  
7           of thousands to millions of dollars to interconnect with  
8           the Con Ed system.  Are you aware of that?

9           A:    Are you talking about connection costs?

10          Q:    Yes.

11          A:    As far as connection costs, interruptible versus  
12          firm, this is not something that's unique to the Con Ed  
13          system.  Interruptible customers throughout New York State  
14          have to pay a double the - - to access--get access to the  
15          system.

16          Q:    So if I understand your testimony then, and  
17          please what I'm asking you is--is my understanding  
18          incorrect, that you're telling Con Edison that they should  
19          open up this conversation program to interruptible  
20          customers, but at the same time you have no problem with  
21          Con Edison charging these customers potentially millions  
22          of dollars for those connections?

23          A:    I'm not sure that things are--can be put  
24          together like that.  Interruptible rules are consistent  
25          state-wide.  Company area growth plan, my understanding is

1 that customers within that area, whether they be firm or  
2 interruptible, can participate.

3 Q: Well, is it your understanding that  
4 interruptible customers in the area of growth can  
5 participate in the cost basis as firm customers?

6 A: Can you restate that? I'm sorry.

7 MR. LANG: Judge, I assume there's no way I  
8 can have my question read back, is there?

9 ALJ AGRESTA: Nope.

10 MR. LANG: I had to try.

11 Q: Is it your understanding, panel, that within  
12 these area growth areas that the company has designated,  
13 that the interruptible and firm customers are given the  
14 opportunity to connect at the same cost level, in other  
15 words, for zero cost?

16 A: I don't think I can provide an answer on that.  
17 I don't have the details of the area growth in front of me  
18 now.

19 Q: Well, you've testified-- I guess I'd like to  
20 understand generally then, what is your understanding of  
21 the area growth plan?

22 A: My understanding of the area growth plan is  
23 that, and it would depend entirely on the director from  
24 the city, to get folks off the heavy fuel oil has a  
25 timeframe that has to be managed by the company, and they

1 are-- I think they've identified 7,000 of these customers  
2 within their service territory that are currently using  
3 the heavy fuel oil, and they are identifying areas that  
4 the system can support area by area, year by year, and  
5 providing the option for those customers within that  
6 particular area zone that they have identified, that  
7 customers that come on will be provided a low to no-cost  
8 connection to the systems.

9 Q: So is it your view then that within these area  
10 growth areas, that all customers, regardless of whether  
11 they're firm or interruptible, should be able to come out  
12 for zero or low cost?

13 A: Well, the tariff regarding interruptible  
14 service, I think, is still old and whether the company  
15 can provide a low cost or no cost option to interruptible  
16 customers, I think that's on a case by case basis, and I  
17 wouldn't be able to respond more general.

18 Q: You've just testified that it's your  
19 understanding the area growth program is to foster these  
20 expansions, and I'm trying to understand what you mean by  
21 that, so do you mean that should include all customers or  
22 only some customers?

23 A: Providing the gas service to heavy fuel oil--  
24 current heavy fuel oil users, whether it be firm or  
25 interruptible, is something that the company is challenged



1 to meet.

2 Q: Well, again, that's not in any way responsive to  
3 the question I asked you, so I'll go back to my question.  
4 Within these area growth areas, is it staff's position-- I  
5 don't care right now what the company's position is. They  
6 can talk for themselves. I don't want you to answer for  
7 the company. I don't want you to refer to the company.  
8 I'd like to know, you are the gas supply policy panel  
9 here. Is it your position that within these areas that  
10 the company should be offering the same opportunities to  
11 all heavy users seeking to join the gas system?

12 A: When you say same opportunities--

13 Q: [Interposing] The same costs.

14 A: The company should at least look at the  
15 possibility.

16 Q: I don't know what that means. What is your  
17 position, not what the company's position is. What is  
18 your position?

19 A: I don't have access to all of the data that the  
20 company has, so if they can provide that option at a lower  
21 cost to interruptible customers, then I believe that they  
22 should at least pursue that. Whether they need to, I'm  
23 not going to respond to that. Like I said earlier, the  
24 tariff-- interruptible services is a state-wide mandate.  
25 There's rules that regulate how that's supposed to be

1 implemented.

2 Q: Let's take a hypothetical then, in an area of  
3 growth, let's say that you have three customers in a row  
4 along the same street in the middle of the area of growth.  
5 The customer on one end says, 'I want to be firm,' the  
6 customer two doors down says, 'I want to be firm,' and the  
7 customer in the middle says, 'I want to be interruptible.'  
8 Would you agree that the expansion plan that the company  
9 needs to do to connect all three customers is probably  
10 going to be the same project?

11 A: I would agree. Yes.

12 Q: So in your view, should the company be charging  
13 that customer in the middle of those three customers  
14 something other than zero to low cost for that connection  
15 in the area growth zone, assuming that all three customers  
16 were signing up at the same time?

17 MS. CHAN: So the interruptible customer  
18 has to pay full cost of connection. That has been  
19 established a long time ago. The legal oil/gas  
20 conversion has been established since 2011, and we  
21 haven't had enough data to see how many customers  
22 among them would be interruptible or firm. So as of  
23 right now, we should follow what the state laws say,  
24 but in the future, there could be other discussions  
25 and we don't have an answer for that at the moment.

1 If you're asking for our opinion--

2 MR. LANG: [Interposing] Well, when is the  
3 future that you're referring to? We're in the middle  
4 of a rate case. When is the future?

5 MS. CHAN: I said I don't have enough data  
6 to make the conclusion of the question that you're  
7 asking.

8 ALJ AGRESTA: I think it's fair to assume  
9 the future is not during this rate case.

10 MR. LANG: Well, I'm not sure that it is  
11 and that's what I'm trying to understand, because we  
12 are in the middle of an oil/gas conversion program.  
13 We have a law that requires these conversions within  
14 the next two years, and I'd like to understand. You  
15 folks were the ones that are testifying today and my  
16 hypothetical didn't talk about history and it didn't  
17 talk about future. It said that in one of Con Ed's  
18 area growth plans, which is a specific defined area,  
19 which Mr. Riebel has already said he understands to  
20 mean it's a fixed period of time, and in that period  
21 of time in which the area growth plan is available in  
22 this area that I'm saying, and you have three  
23 customers that have all signed up at the same time,  
24 and based on your understanding of the area growth  
25 program, it's not some future hypothetical area, not

1 something that happened in the past. Based on the  
2 program as you know it right now, as Con Ed is  
3 operating it right now, do you believe that they  
4 should be offering zero to low cost for all three of  
5 those customers within that program?

6 A: May I respond by saying the interruptible rules  
7 that are in place need to take precedent over an oil to  
8 gas area plan. So, potentially, yes, there could be costs  
9 associated with that interruptible coming into the system.

10 ALJ AGRESTA: Okay. I think they've  
11 answered your question the same way twice, so it's  
12 time to move on.

13 MR. LANG: I was planning on it, Judge.

14 Q: Mr. Riebel, you stated earlier that with respect  
15 to the tariff filing related to the oil/gas conversion  
16 program that is currently under review, do you mean under  
17 review by staff?

18 A: Yes, that's correct.

19 Q: Do you understand that there is a timing urgency  
20 given the local law requirements for this program to move  
21 forward?

22 A: Yes. I understand that.

23 Q: Could you tell us when you expect to complete  
24 that review?

25 MR. OSSIES: Your Honor, I think that

1           really is subject to internal deliberations with the  
2           Commission and I would object to the question. Also,  
3           it's entirely different case.

4                     ALJ AGRESTA: I think it's a perfectly fair  
5           question. If he knows when it's going to be done, he  
6           should say so.

7           A: If you're asking do we have a--do we know the  
8           timing and the potential outcome of that, we do not have  
9           the answer to that. No, we do not.

10          Q: Perhaps you can answer this, and if you can,  
11          that would be wonderful. Does the staff understand that  
12          there is a sense of urgency to get the new rules in place  
13          to facilitate oil to gas conversions?

14          A: The staff understands that the oil to gas  
15          program has been in place now for over a year and the  
16          company has been building up a system to handle this new  
17          load. This tariff filing that the company has put forth  
18          is something that may or may not be a--it may or may not  
19          prohibit the company from moving forward.

20          Q: So in other words, you don't see a sense of  
21          urgency is what you're saying?

22          A: With the tariff filing or with the area growth  
23          plan?

24          Q: With the tariff filing which facilitates the  
25          area growth plan.

1           A: I would take exception to that. The tariff  
2 filing is facilitating the area growth plan.

3           Q: I guess I'll just move on. We could turn to  
4 page eight of your testimony, and again, I'm going to  
5 approach this from a very different way from Mr. Richter.  
6 Okay. In lines 8 through 17, you note that the company  
7 acknowledges it cannot build out its existing system of  
8 pace that would provide a sufficient reliable gas service.  
9 Do you see that testimony?

10          A: Yes, and it continues to say within a short few  
11 years.

12          Q: Sure. I didn't feel the need to repeat. It's  
13 already in the record. Have you investigated why the  
14 company cannot build out its system at the appropriate  
15 pace?

16          A: Again, I don't think the testimony is saying  
17 they can't build a system at an appropriate pace; it's  
18 saying that they can't build out a system to meet all of  
19 the anticipated load within a few short years.

20          Q: Is that a concern at all to staff, that they  
21 can't meet the demands being placed on them?

22          A: No. I don't believe that is a concern. They  
23 are meeting the demands going forward. It's just  
24 unreasonable to expect a company to build out its entire  
25 system for all these 7,000 customers in a short few years.

1           Q:   When you say they are meeting the demands, what  
2 demands do you think they're meeting?

3           A:   They are, the oil to gas—I'm sorry, the clean  
4 heat initiative has a certain windows that need to be  
5 dealt with. In 2015 I believe, right, they have to get  
6 off number six and number four. That have until 2030 to  
7 get these customers switched off of that fuel. I guess I  
8 would also have to mention that in order to meet the clean  
9 heat requirements, these customers might not all be coming  
10 on as gas customers. There are other options for those  
11 customers that they may choose, such as number two fuel  
12 oil, which would also meet the clean heat initiative and  
13 not require the company to provide gas service to those.

14          Q:   You said a lot of things there, but it wasn't  
15 clear to me whether any of them were actually responsive  
16 to the question I asked, so just to be clear, if you could  
17 just limit yourself to the question that I ask, I would  
18 really appreciate it. Do you believe that the company is  
19 on pace to meet the demand that is being placed upon it?  
20 Not about number two, because this company doesn't deal  
21 with number two fuel. They deal with natural gas. Do you  
22 believe that they are on the appropriate pace?

23          A:   This panel believes that the company is at a  
24 pace that is reasonable and, yes.

25          Q:   Do you believe that the pace is consistent with

1 the Commission's state of intentions in case 12G-0297  
2 about gas expansion in this state?

3 A: I don't believe that the company's pace is in  
4 conflict with that generic proceeding. I don't know.

5 Q: What is your understanding of the company's  
6 plans for dealing with oil to gas conversions outside of  
7 these area growth zones?

8 MR. OSSIES: I'm going to object to the  
9 question being out of the scope of the staff's panel.

10 Q: Well, I'll rephrase it, then. What is your  
11 understanding of the area encompassed by the area growth  
12 zones?

13 A: I'm not sure I understand, what do you mean by  
14 that?

15 Q: Well, you've testified a number of times about  
16 the area of growth zones that the company has proposed.  
17 What is your understanding about the geographic scope of  
18 those? In other words, are they limited? Do they cover  
19 the entire city?

20 A: They are dealing with a finite area, basically  
21 blocks of streets, and they have a plan to know which  
22 customers are located in what areas, and these particular  
23 blocks are meant to deal with a certain size of a load of  
24 those customers at each particular year; whether the  
25 company needs to build infrastructure to meet those needs,



1 whether they can serve it through the current system. My  
2 understanding of that plan is that it is something that  
3 they look at every year and they continue to build it out  
4 year by year.

5 ALJ AGRESTA: Mr. Lang, go ahead and ask  
6 your question about outside of the area zones. This  
7 panel is giving a forecast for the entire system, not  
8 just the area zones, and let's not talk about the  
9 area zone program anymore if we can help it. Okay?

10 MR. LANG: Well, I'm sorry, Your Honor, but  
11 it's a very important issue.

12 ALJ AGRESTA: No, I'm saying go back and  
13 ask your question that you wanted to ask two  
14 questions ago.

15 Q: Let me try to structure it-- Mr. Riebel, I would  
16 really ask this; if I ask a specific question about the  
17 geographic scope, I don't need you to go into a long  
18 discussion of what the company is doing in each area  
19 growth zone. Is it your understanding that the area  
20 growth zones only cover a portion of the city of New York?

21 A: As I said earlier, your question is related to  
22 geographic area. These area growth zones are specific  
23 geographic areas.

24 Q: And do they cover the entirety of the city of  
25 New York?

1 A: No. One area at a time--

2 Q: [Interposing] Thank you. Thank you. All I  
3 needed was a no. So, for customers that are not located  
4 within an area growth zone, what is your understanding of  
5 their options for getting zero to low cost conversions?

6 A: Customers not in the area's growth zone, it's my  
7 understanding the company addresses each of those  
8 applications as it did before oil to gas conversions  
9 began.

10 Q: Do you believe that it is appropriate to treat  
11 those customers differently than those in the area growth  
12 zones?

13 A: Yes. I don't think they necessarily are the  
14 same--have the same requirements, or have the same costs  
15 associated with them.

16 Q: Have you done any investigation at all of the  
17 cost that Con Edison is charging to these customers?

18 A: Which customers are you referring to?

19 Q: The ones outside of the area growth zones.

20 A: I don't have data in front of me to --, no.

21 Q: Well, I'm not asking whether you have it in  
22 front of you this second. I'm asking whether you've done  
23 any analysis of that. It's a yes or no question.

24 A: No. No analysis.

25 Q: I'll move on. Turning to page nine of your

1 testimony, you have a question that was asked of you in  
2 lines 4 to 6 and you gave a response of 7 to 12. What do  
3 you mean by optimum cost in your response?

4 A: Optimum costs that we referred to in the  
5 testimony is basically the zero to low cost-- external  
6 costs to provide service.

7 Q: And, so just to be clear then, the staff doesn't  
8 see any problem that only some customers are able to  
9 convert at what you've defined as optimum cost?

10 A: Again, the area growth-- in developing those  
11 areas, by providing-- in order to provide the zero to low  
12 cost--

13 Q: [Interposing] Mr. Riebel, please. Could you  
14 answer my question?

15 A: I'll ask you to repeat that.

16 ALJ AGRESTA: Don't interrupt him when he's  
17 answering the question.

18 MR. LANG: Your Honor, I'm trying to get an  
19 answer to my questions.

20 ALJ AGRESTA: I understand. I understand.  
21 Just let him finish whatever he's going to say and  
22 then you can respond.

23 Q: Is it staff's position that staff doesn't have a  
24 problem with only some customers seeking to convert being  
25 able to do so for the optimum cost as you've defined it?

1           A:   Staff does not have a problem with how the  
2           company's approaching new load, whether it's area growth  
3           or outside the area growth.

4           Q:   What analysis have you done to determine that  
5           the company's approach is maximizing the number of  
6           conversions the company can accomplish as you've discussed  
7           in this response?

8           A:   Staff's testimony referring to maximum number of  
9           conversions in a particular area of growth can be  
10          accomplished when these customers are given zero to low  
11          cost.

12          Q:   So you didn't look at the boundaries to figure  
13          out whether different boundaries could actually provide  
14          more inducements to more customers, in other words, to  
15          attract the greater number of customers?

16          A:   No. The company has a--had presented to us their  
17          models on how to determine how these area growths are  
18          determined and we did not take exception to that, to that  
19          plan that the company presented.

20          Q:   Did you do any independent analysis of the  
21          boundaries of the area growth zones?

22          A:   No, we did not.

23                   MR. LANG: That's all I have.

24                   ALJ AGRESTA: Thank you. Any redirect?

25                   MR. OSSIES: One second, Your Honor. We'd

1 like to confer. Your Honor, staff doesn't have any  
2 redirect.

3 ALJ AGRESTA: Good. You're excused. Thank  
4 you for your testimony. Astoria Gen, you can call  
5 next witness, please. Mr. Radigan should get an  
6 award for having to wait all day for his 10 minutes  
7 of cross.

8 [Background conversation]

9 ALJ BIELAWSKI: Raise your right hand,  
10 please. Do you swear or affirm that the testimony  
11 you're about to give will be the truth, the whole  
12 truth, and nothing but the truth?

13 MR. FRANK RADIGAN: I do.

14 ALJ BIELAWSKI: And do you also adopt your  
15 pre-filing testimony to be your sworn testimony in  
16 these proceedings?

17 MR. RADIGAN: I do.

18 [Background conversation]

19 MR. GOODMAN: Mr. Radigan, do you have any  
20 changes to your testimony?

21 MR. RADIGAN: I do not.

22 MR. GOODMAN: I present Mr. Frank Radigan  
23 for cross examination.

24 ALJ AGRESTA: Okay. We've got Con Edison  
25 for ten minutes.

1 CROSS EXAMINATION

2 BY MR. MARC RICHTER

3 Q: Good afternoon, Mr. Radigan.

4 A: Good afternoon.

5 Q: Good afternoon, sir.

6 A: Good afternoon.

7 Q: I'd like you to please refer to pages one to two  
8 of your testimony where you state that Astoria Gen owns  
9 and operates approximately 1,500 megawatts of gas and oil  
10 fire generation in New York City and you named three  
11 stations; the Astoria Generating Station, Narrows Gas  
12 Turbine Facility, and the Gowanus Gas Turbine Facility.  
13 Do you see that testimony?

14 A: I'm sorry. What page are we on?

15 Q: Pages one to two where you talk about the amount  
16 of generation that Astoria Gen owns and you name the three  
17 stations.

18 A: Yes.

19 Q: And you also state that these facilities were  
20 formerly owned by Con Ed and that Astoria Gen takes  
21 transportation service from the company pursuant to  
22 negotiated contracts under the company's SC9 tariff.

23 A: Yes.

24 Q: Am I correct that Narrows and Gowanus facilities  
25 are located in Brooklyn?

1 ALJ AGRESTA: Is this a geography test?

2 A: Yes.

3 Q: Would you agree then that the transportation  
4 service for those two facilities are provided by National  
5 Grid and not by Con Edison?

6 A: Oh, okay. Yes.

7 Q: One plant that's affected in this case is the  
8 Astoria Generating Station?

9 A: Yes.

10 Q: I just wanted to clear the record on that, sir.

11 A: Thank you. I understand.

12 Q: If you can turn to page four of your testimony.

13 A: Yup.

14 Q: When you say you take no issue with the staff  
15 gas policy panel's first recommendation, am I correct that  
16 you're referring to the staff proposal to use the Transco  
17 Zone Six price for surplus imbalances?

18 A: Yes.

19 Q: If I can turn your attention now to page six,  
20 line three of your testimony where you state for surplus  
21 imbalances the company uses the Transco Zone Three well  
22 head price plus a variable transportation charge. Do you  
23 see that testimony?

24 A: I see that.

25 Q: Are you there referring to the company's SC9

1 terra provisions applicable to power generators?

2 A: Yes, I believe so.

3 Q: Can you please state the basis for your belief  
4 or understanding that the company's tariff currently  
5 provides for the Transco Zone Three well head price plus a  
6 variable transportation charge as opposed to just the  
7 Transco Zone Three well head price?

8 A: I thought that's what I read. I might have been  
9 referring to the wrong tariff.

10 Q: I have copies of the tariff pages.

11 A: Okay.

12 Q: If you'd like to review them.

13 MR. RICHTER: Your Honor, we're handing the  
14 witness a copy of three leaves from the company's gas  
15 tariff. Leaf numbers 300, 300.1, and 300.2. The  
16 heading at the top of the first page is 'Balancing  
17 Services and Charges for CNG Bypass and Power  
18 Generation Customers,' and we ask that this be marked  
19 for identification.

20 ALJ AGRESTA: It will be marked as Exhibit  
21 807 for identification.

22 MR. RICHTER: I apologize, Your Honor.

23 Q: Mr. Radigan, if I can point your attention to  
24 leaf-- the second leaf-- 300.1-- under the heading of 'Net  
25 Surplus and Balance.'



1           A:    I have that.

2           Q:    If you can see there, do you agree with me that  
3 the cash-out price for the net surplus imbalances is the  
4 Transco Station 65, which is the equivalent of the Transco  
5 Zone Three Price?

6           A:    That's my understanding.

7           Q:    Okay. Without any addition of a variable--

8           A:    [Interposing] Yeah. I must have been looking at  
9 the wrong tariff.

10          Q:    If you can turn now to page nine of your  
11 testimony.

12          A:    I'm there.

13          Q:    There you reference testimony by staff that  
14 tightening dead bands for balancing generators will  
15 decrease assets the company needs to retain to account for  
16 the 10% fluctuation in volume. Do you see that reference  
17 in your testimony?

18          A:    I do.

19          Q:    Okay. And I assume you heard the earlier  
20 discussion today with the Staff Gas Policy Panel?

21          A:    I did.

22          Q:    I direct your attention to page nine of your  
23 testimony starting on line nine where you state the panel--  
24 - I assume you're referring to the staff's policy panel--  
25 'proposing to decrease the dead band with no change to the

1 cash-out charge, increase potential charges to the  
2 customer, allow the utility to retain any savings that  
3 occur from decreasing the assets needed to serve  
4 customers.' Do you have that reference?

5 A: I do.

6 Q: Could you please explain the basis for your  
7 statement that, just assuming any assets could be reduced,  
8 that the company would be able to retain the savings from  
9 reducing those assets?

10 A: This is in reference to the staff testimony that  
11 they say that there will be a decrease in assets.

12 Q: Okay. But the staff testimony didn't talk about  
13 the company retaining any savings, did they?

14 A: No. But the absence of what happens to these  
15 savings that the company would get to retain, a normal  
16 rate-making process, you would impute a level of  
17 miscellaneous revenues and after rates are set, if the  
18 company makes more money, they get to keep it.

19 Q: So for instance, the assets that you're talking  
20 about, that staff I believe was talking about, at least in  
21 its testimony prior to the discussion we had today during  
22 this hearing, was the company might be able to reduce an  
23 asset. Would you agree? Like a storage asset.

24 A: Yes, but I also meant that just like in previous  
25 cases if the company had an opportunity to increase

1 capacity sales during the summertime, run out some of that  
2 storage capacity and make money off of that, those would  
3 accrue to the company.

4 Q: Okay. So then maybe to clarify, just to clarify  
5 what you are saying here is that the company wouldn't  
6 necessarily retain savings if it was able to eliminate,  
7 let's say, a storage contract with the - -. You're saying  
8 that if staff's proposal would enable the company to  
9 provide other services using that capacity, the company  
10 might be able to share in some of those additional  
11 revenues.

12 A: Right. That's a normal provision in previous  
13 settlements, that if there was an opportunity and you got  
14 to make money and there was some kind of sharing  
15 arrangement, but the absence of--

16 Q: [Interposing] But utilizing those assets in a  
17 different manner rather than just getting rid of them.

18 A: For instance, the obvious example here is that  
19 if power generator then had to go get storage assets  
20 during the summer in order to get storage to do that  
21 balancing at a lower tolerance band, the company might  
22 sell it to them.

23 MR. RICHTER: Thank you, Mr. Radigan. No  
24 further questions, Your Honor.

25 ALJ AGRESTA: Any redirect?

1 MR. GOODMAN: Just one second. No  
2 redirect, Your Honor.

3 ALJ AGRESTA: Thank you. The witness is  
4 excused. Are there any other procedural matters to  
5 come before us?

6 MR. RICHTER: Your Honor-- Marc Richter--  
7 just what I'll mention, that based upon the hearing  
8 today, the company had scheduled time to cross  
9 examine AGC's Liam Baker next week. We have no  
10 questions for that witness.

11 ALJ AGRESTA: Okay. Thank you. Okay.  
12 Then, we will recommence tomorrow morning at 9:30  
13 a.m.. Off the record.

14 [END OF HEARING]

C E R T I F I C A T E


I, Doreen Angermayr, certify that the foregoing transcript of proceedings in the Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Electric, Gas, and Steam Service, Case Nos. 13-E-0030, 13-G-0031, and 13-S-0032 was prepared using the required transcription equipment and is a true and accurate record of the proceedings.

A handwritten signature in cursive script, reading "Doreen Angermayr", is written over a light gray rectangular background.

Date: July 27, 2013

## C E R T I F I C A T E

I, Amber Israelsen, certify that the foregoing transcript of proceedings in the Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Electric, Gas, and Steam Service, Case Nos. 13-E-0030, 13-G-0031, and 13-S-0032 was prepared using the required transcription equipment and is a true and accurate record of the proceedings.



Signature: \_\_\_\_\_

Date: July 26, 2013

C E R T I F I C A T E

I, Christine Morrell, certify that the foregoing transcript of proceedings in the Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. for Electric, Gas, and Steam Service, Case Nos. 13-E-0030, 13-G-0031, and 13-S-0032 was prepared using the required transcription equipment and is a true and accurate record of the proceedings.

Signature:



Date: July 28, 2013

C E R T I F I C A T E

I, Lisa Mester-Fox, certify that the foregoing transcript of proceedings in the Motion of the Commission as to the Rates, Charges, Rules and Regulations of Consolidated Edison Company of New York, Inc. For Electric, Gas, and Steam Service, Case Nos. 13-E-0030, 13-G-0031, and 13-S-0032 was prepared using the required transcription equipment and is a true and accurate record of the proceedings.

A rectangular box containing a handwritten signature in cursive script that reads "Lisa Mester-Fox".

Signature:

Lisa Mester-Fox

Date: August 6, 2013