

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Gas Transmission Lines at
Indian Point Nuclear Plant

OIG Case Number: 16-024

Location: teleconference

Date: Thursday, March 19, 2020

Work Order No.: NRC-0863

Pages 1-68

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALSO PRESENT:

RICHARD KUPREWICZ, President, Accufacts, Inc.

STEVE NANNEY, Pipeline and Hazardous Materials
Safety Administration, DOT

JAMAL MOHMAND, Sandia National Laboratories

P-R-O-C-E-E-D-I-N-G-S

1:04 p.m.

1
2
3 MR. SKEEN: All right, so maybe we'll get
4 started and if other folks join in that's fine.
5 They'll just have to introduce themselves as they come
6 along.

7 But for now, just let me start. Again, I
8 am David Skeen, I'm leading this team that was put
9 together to look into the IG event inquiry findings
10 concerning the gas pipeline, the 42-inch gas pipeline
11 that is on Indian Point's property.

12 Who just joined please?

13 MR. NANNEY: Steve Nanney with PHMSA.

14 MR. SKEEN: All right, great. Thanks,
15 Steve. We have a court reporter on the line
16 transcribing the meeting. Could you give your name
17 and spell it for him please?

18 MR. NANNEY: Steve, S-T-E-V-E, Nanney, N-
19 A-N-N-E-Y.

20 MR. SKEEN: All right, thank you very
21 much, Steve, appreciate that.

22 So, to continue with the introductions
23 again. We were put together, the Chairman looked at
24 the event inquiry report and she asked our executive
25 director for operations to put together a team that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would be independent from folks who have worked on
2 this project up to this point within the NRC.

3 And also, to get some external expertise
4 help to look at some of the concerns that were raised
5 by the Inspector General. So, that's what we are.

6 I'm the team leader for this. My
7 background was, I've been with the NRC about 29 years.
8 And I had done the Japan lessons learned after the
9 Fukushima event in 2011.

10 I worked with a group, a special projects
11 group, for about three years at the time. And so the
12 executive director asked me to put together a team,
13 assemble a team of internal and external experts to
14 kind of look at what the IG findings had put forward.
15 So what's what I've done.

16 We have several, you've heard some of the
17 team members on the line. The internal team members
18 we have Theresa Clark and Suzanne Dennis, Rene'e Li,
19 Brian Harris, who is an attorney, who is not on the
20 call today but I'm sure we can back-brief him on
21 whatever our discussion is.

22 And then externally, because we wanted to
23 make sure we got expertise, technical expertise in gas
24 pipeline issues, we were able to get Steve Nanney from
25 DOT to be part of our team as well to help us with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that part of the evaluation.

2 And then we also have Sandia National Labs
3 who is looking at some of the fire and explosion risks
4 for us. So that's the basic, our team that we have.

5 I just want to make sure you knew that.

6 And so, we do have on the line with us
7 both Steve Nanney from, P-H-M-S-A, we say PHMSA, as
8 well as Sandia National Labs are on with us too.
9 Jamal is on from Sandia.

10 So, I know that's a long-winded
11 introduction but I just want to make sure you
12 understood who is on the phone and what our purpose is
13 here.

14 So, if you're okay with that, what we've
15 been doing with folks as we've interviewed them is
16 just kind of have them talk about what's been their
17 involvement in the process. So whatever they can
18 remember from that.

19 And then we have some specific questions.
20 But a lot of time when whoever we're talking with just
21 kind of says here's what they've been doing, they
22 answer a lot of our questions so that we don't have to
23 go through those.

24 And if we miss --

25 DR. LI: This is Rene'e Li. Sorry.

1 MR. SKEEN: Oh, sorry. So, Rene'e, is
2 that you?

3 If you could please give your name and
4 spell it for the court reporter please?

5 DR. LI: Yes. Rene'e Li. My official
6 name is Yueh-Li, Y-U-E-H, dash, L-I, and last name Li,
7 L-I.

8 MR. SKEEN: Okay, thank you very much.
9 Did you get that court reporter, please?

10 COURT REPORTER: Yes, sir. Thank you.

11 MR. SKEEN: Okay, thank you very much.
12 And so, Rene'e is our piping and structural expert
13 within the NRC. So that's who just joined us as well.

14 MR. SKEEN: So, anyway, Rick, if you want
15 to just kind of talk about what your involvement has
16 been in the whole process. I know it's going back a
17 few years, but if you can talk about that.

18 And then maybe we'll have some questions
19 for you when you get through kind of describing what
20 your involvement has been.

21 MR. KUPREWICZ: No problem. And let me
22 know if my voice starts trailing off here. Don't get
23 real old is all I can tell you folks.

24 MR. SKEEN: Okay.

25 MR. KUPREWICZ: My involvement probably

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 initiated with the town of Portland, New York, in the
2 original AIM applications with FERC. And there is
3 documents in the FERC process that will show that I
4 did some analysis for them and raised some questions.

5 And then there is a local group of people,
6 and I don't know who they are, who have asked for some
7 technical expertise on the specialized issues related
8 to gas transmission.

9 I'm with Accufacts Incorporated. It's my
10 own company. And Steve Nanney knows me. I got a lot
11 of respect for Steve.

12 Steve and I go back interacting on various
13 PHMSA committees. And so it's good to see Steve on
14 the team, let me put it that way. I figure he didn't
15 need the work.

16 So, I guess a couple of quick things. So
17 there is back and forth documents related to the FERC
18 application. And also sometime after that, I did met
19 with members of the NRC after building in Washington,
20 I don't remember what year that was, and kind of
21 outlined some issues related to gas transmission,
22 failure dynamics. Especially in regards to rupture.

23 And basically I just said, look, the issue
24 here from a 42-inch pressure gas transmission line is
25 if the line ruptures can you basically, you're going

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to lose the power plant most likely if it ruptures in
2 the wrong location. So you're coming down.

3 And my question to the NRC was, you have
4 to demonstrate to somebody that if the gas pipeline
5 ruptures you can, basically, what I call a cold shut
6 down. You can bring the plant down.

7 And yes, I didn't know the answer to that.
8 I didn't want to get into all the secret details. But
9 as a process safety manager background, that's a
10 simple question to me.

11 And so they did their thing. And then the
12 last couple of years the Office of the Inspector
13 General has interviewed me a couple of times while
14 they were going through that process. And so I gave
15 them my feedback on that, and that's about it.

16 MR. SKEEN: Okay. Well, I appreciate
17 that. And certainly we agree. I mean, we want to
18 make sure that the plant gets shut down safely if
19 there is a rupture to that gas line.

20 And I guess the questions stem from, how
21 did you look into evaluating that and what did our
22 staff do, and did they do appropriate or was it
23 inappropriate what we did? So we're relying on you as
24 an expert is certainly something that we want to get
25 your thoughts on that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUPREWICZ: Well, let me just
2 interject again. I've got no dog in this hunt. And
3 Steve can speak up if he thinks I'm off-tangent here,
4 but I try to stay neutral and objective. I'm not the
5 judge or jury.

6 People bring me in to ask the right
7 questions and then they'll evaluate whether those
8 questions have been adequately addressed. And I don't
9 advertise because I don't need the business.

10 So, in this particular case I would
11 suggest to your team that the OAG, and I didn't see
12 the report till just the other day, has raised many
13 issues that I find relevant. Let me leave it that
14 way.

15 MR. SKEEN: Yes, I understand. So, okay.
16 Well, with that, maybe we can go through some
17 questions and maybe that will help us if you can
18 provide some more information to us.

19 So, one of the first things we looked at
20 was, of any of the issues you raised during the time
21 that you were consulting for them, have any of them
22 been resolved?

23 Any of the issues at all that you raised?

24 Are you comfortable with any of them that
25 they have been resolved?

1 MR. KUPREWICZ: No. And it's not, and
2 again, in the little room we got to talk and be very
3 frank. I want to respect everybody's approaches and
4 all that.

5 It was clear that, from my perspective,
6 the people evaluating this -- and again, the NRC
7 aren't gas transmission failure experts. It's not
8 your area of expertise. And that became obvious.

9 So, I would just suggest a couple of
10 things. One, not overwork the issue of leak versus
11 rupture.

12 They carry, and Steve can speak up if I'm
13 missing this, rupture carries a special meaning in
14 transmission pipelines. And while you have to talk
15 about leaks, the reality is that leaks are not a bona
16 fide threat here. Even if the line developed a leak.

17 It's the case -- the base case here is,
18 has this been adequately evaluated for gas
19 transmission pipeline rupture. Even though it may be
20 a low probability event, the consequences of such an
21 event in a certain location, and it won't matter if
22 the pipe is underground or above ground, all right.

23 And so, I would suggest, be careful how
24 the use of the word leak is used when you really are,
25 if you're talking about rupture, use the word rupture.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SKEEN: Okay. And can you help me
2 with that? So can you maybe tell us what's the
3 difference in rupture and leak then so we can --

4 MR. KUPREWICZ: Rupture is an imperfection
5 that is in the pipeline that causes almost
6 instantaneously the mechanical failure of the pipe.
7 Either at the weld or at the pipe body.

8 The failure occurs in microseconds.
9 Depending on the type of pipe, it can promulgate down
10 the pipeline. But basically, rupture is the pipe
11 fractures in tremendous force.

12 With tremendous force because of the
13 compressible nature of the gas. And so you generate
14 these huge craters and pipe shrapnel that may or may
15 not ignite. More likely it will ignite. It can
16 generate its own ignition source.

17 But you end up with the releases of
18 massive force that generate, you know, it will throw
19 tons of dirt and pipe steel around. And then it will
20 end up generating usually a fireball.

21 And it's fed by, because the pipe is
22 basically, completely fractured, it's fed by two full-
23 bore ruptures from each end of the failure site.

24 MR. SKEEN: Okay. That's very helpful --

25 MR. KUPREWICZ: And ironically, you're not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 likely to see pressure drop right away. So, yes.

2 MR. SKEEN: Right. Well, thanks, that's
3 helpful.

4 MR. KUPREWICZ: And Steve he's got this --
5 again, Steve, I don't want to put you on the spot, but
6 you can help them fill in the details.

7 MR. NANNEY: Yes, Rick, just to tell you
8 I have been, and so, I have been going through this
9 with them.

10 MR. KUPREWICZ: Good. Good. So if I'm
11 repeating, shut me down because all I'm doing is
12 losing my voice.

13 (Laughter.)

14 MR. SKEEN: Okay. All right. So, maybe
15 we should get focused on the particular issues I think
16 that you had raised in some of your dealings with the
17 NRC or some of the problems you had.

18 So, let's talk first about the one to
19 three minutes. If you can try to talk about that just
20 a little bit.

21 And if the one to three minutes isn't the
22 right value to use, what would be the right value to
23 use if you could give us some thoughts on that.

24 MR. KUPREWICZ: Well, it's system-
25 specific. And I don't know all the details of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 control that Enbridge has got in there, this has a
2 pump, a compression station, excuse me, a compression
3 station fairly close to the plant upstream.

4 And so I don't know the specific details
5 of how they're designed to remotely monitor that
6 compressor station and how they are measuring the
7 various parameters along that pipeline for the segment
8 that could affect the nuke plant, okay.

9 But what tends to happen is the laws of
10 thermal dynamics. Even though these show up as two
11 full-bore ruptures, the laws of thermal dynamics
12 control.

13 And so you are more than likely not to see
14 a loss of pressure for a while. By the time you see
15 pressure loss, damage has already been done. Okay?

16 MR. SKEEN: Okay.

17 MR. KUPREWICZ: And so what you want to
18 know, and Steve may be able to point you to some
19 people, you want to have an expert that's an expert in
20 pipeline in transient analysis that says, okay, pipes
21 just failed at this point, and given this system,
22 what's going to happen.

23 And what's going to happen is, you're
24 probably not going to see changes in pressure for a
25 while. A few minutes at least.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And more likely what you'll see is funny
2 things happening in the compressor facility. And
3 given all the information that the SCADA control room
4 operator in Houston is looking at, he may not
5 understand that he just got the indicators of a
6 possible rupture.

7 So my point is, the remote monitoring, and
8 without more detail, it could be many minutes before
9 the control room knows they actually have a pipeline
10 rupture. Okay?

11 So, there's quite a span in time before he
12 would have to determine that there is an actual
13 rupture and then order the valves closed. Because I
14 assume on a 42-inch they're not putting in automatic
15 closure valves. I don't know that, but I don't
16 remember them doing that.

17 MR. SKEEN: Yes, our understanding is they
18 are remote actuated valves but they are not automatic.
19 That the control room has to recognize there is a
20 problem and then push the buttons to isolate the
21 valves. To close the valves.

22 MR. KUPREWICZ: That would not be a
23 surprise to me. That's a fairly responsible approach.

24 I think one of the things that you might
25 want to talk about in trying to figure out what's the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 time when the actual rupture occurs between that and
2 the time to order the valve closed, one pre-factor
3 that I always tend to, when I talk to operators that
4 have had ruptures in rupture investigations, it's not
5 so much pressure loss that shows up, it's some sort of
6 massive rate change.

7 And they may or may not be set up to see
8 the rates. Now, as close as this compressor station
9 is, I would think that these things, Enbridge might
10 have some parameters that would say, if you get this
11 signal you better be looking for a rupture. You don't
12 know it's there, but this is a precursor to indicate.

13 MR. SKEEN: Okay.

14 MR. KUPREWICZ: Does that make sense?

15 MR. SKEEN: Yes, it does. And maybe you
16 can help us with this. So does the operator have to
17 have some alarm procedure or isolation procedure that
18 says -- we're used to nuclear power plant operators,
19 right, we have procedures for everything, so if
20 they're control room do they say, this is your alarm
21 procedure, that if you get this then you check this
22 parameter, that parameter and if all those check out
23 then you isolate the --

24 MR. KUPREWICZ: Yes, that's something that
25 I think Steve wants to probably chase down. Now, my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 suspicion would be, on a 42-inch running this high of
2 pressure in this sensitive area, they probably have
3 procedures. But having procedures and getting
4 everybody to follow them is a different animal.

5 I think the point is will be, on a 42-inch
6 you just don't go out and say, somebody calls you and
7 says we got a rupture, the control room isn't going to
8 shut the buttons right away until he's got
9 confirmation. So there is some lag there between the
10 actual event and the order to close the valve.

11 MR. SKEEN: Yes. So, would you have a
12 ballpark of what would be normal?

13 Is it five minutes, ten minutes --

14 MR. KUPREWICZ: No.

15 (Laughter.)

16 MR. KUPREWICZ: I'm not laughing at you
17 guys, I'm laughing, you know, you're more likely 15
18 minutes to half an hour.

19 MR. SKEEN: Okay.

20 MR. KUPREWICZ: Now, and let me tell you,
21 as a person whose actually been in incidences in the
22 control room, those minutes can move extremely quick
23 or they can be dramatically slow, all right, during a
24 real emergency.

25 So this is not something I want to pin on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the poor control room operator, it's a tough job.

2 MR. SKEEN: Sure. Thank you. I
3 understand.

4 MR. KUPREWICZ: The industry will try to
5 say, you know, well, it's not a few minutes, but when
6 you start talking 15 minutes or half an hour, they get
7 a little nervous.

8 And, you know, because people then start
9 challenging them. And the answer is, it's hard. It's
10 really difficult.

11 And it's pretty system-specific. But if
12 Enbridge has got certain parameters that are focusing
13 on, all of a sudden your compressor is acting weird
14 because it's trying to run out on its curve because
15 the resistance in the pipeline has gone to zip because
16 of a rupture -- then that's a good indication of a
17 rupture

18 But given the size of this line, it would
19 be a reasonable for the pipeline operator, they just
20 don't hit this button to shut everything down, they've
21 got to really, it's not unusual to say, confirm these
22 informations that you're getting and then take an
23 action.

24 They may have the authority to shut down,
25 but this is a 42-inch gas pipeline, you got to be,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is a reason they didn't put in automatic control
2 shutdown valves.

3 (Laughter.)

4 MR. SKEEN: Yes.

5 MR. KUPREWICZ: Make sense?

6 MR. SKEEN: Yes. You don't want nuisance
7 tripping for sure, I understand. On lines that large,
8 you don't want nuisance tripping your isolating gas
9 lines when you don't need to.

10 MR. KUPREWICZ: Yes. A few more minutes,
11 from a pipeline operator, isn't going to make a lot of
12 difference.

13 Now, the question is going to be the
14 facilities at risk, it's back to, you know, at Indian
15 Point your reactors are in a big old concrete salter
16 but all your auxiliary equipment, is anything there
17 required that you would need to bring that plant down
18 into a safe situation, right?

19 And if there is, then you can either, and
20 this is, I had discussions with them in the meetings
21 saying, look, I don't need to get into details.
22 You've got pieces of equipment that are at risk, even
23 though it's one out of a million.

24 Murphy said the one out of a million is
25 going to occur. If this keeps you from bringing that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant down safely, either you move that facility or
2 you harden it. Make sense?

3 MR. SKEEN: Yes. Yes, I understand that.
4 That's something we're trying to get to the bottom of.

5 So, that leads me to another thing about
6 the distance. The potential impact radius that you
7 can calculate with the DOT equation.

8 MR. KUPREWICZ: That, again, and this is
9 where Steve and I are probably going to diverge. On
10 a 42, the PIR's intent was not to be a citing tool, it
11 was kind of used to help identify high consequence
12 areas. Understanding that it was a compromise, all
13 right?

14 And so, my experience is this. When you
15 start getting into larger diameter, high pressure
16 transmission pipelines, other factors kick in that
17 make the empirical formula, and I don't want to take
18 away from PHMSA and what they are trying to do with
19 the temp regulations. Those are good things.

20 But large diameter pipelines, you can give
21 PIRs, well, the actual impact zone can be much
22 greater. All right.

23 And I don't say that to scare you, I'm
24 just saying, I wouldn't overwork the PIR equation.
25 You'll pretty well, just say, if I have a rupture at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this location, even if it's underground, it isn't
2 going to matter.

3 MR. SKEEN: Okay.

4 MR. KUPREWICZ: What would a rational
5 person say? What sensitive nuclear facilities are in
6 that zone.

7 And you don't have to, whether it's 1,500
8 feet or 2,000 feet isn't going to make any difference.
9 Does that make sense?

10 MR. SKEEN: Well, I'm trying to
11 understand. So if the calculation comes down, let's
12 say it's 900 feet, you're saying it could be much
13 greater than that?

14 MR. KUPREWICZ: Yes. Because another
15 factor kicks in that's not in the PIR. It's called
16 turbulence.

17 MR. SKEEN: Okay. Can you talk about that
18 a little bit?

19 MR. KUPREWICZ: Well, it's the mixing of
20 the gas in the air, then what happens is, not only do
21 you get one explosion -- these aren't modeled well,
22 these are tough things to model. And so, what you
23 have is a unique situation where they put a large
24 diameter, high pressure pipeline next to a very
25 sensitive facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So you're trying to get this tied down.
2 And so, this is stuff that your other experts can try
3 to work out. And there are various ways to do this.

4 We know ALOHA is not the tool. And so OIG
5 was -- they figured that out all on their own. But
6 there are other ways to calculate the transient
7 releases from two ends of a pipeline. And that will
8 give you the mass of the gas. And then you can
9 decide, you know, does it ignite right away or not.

10 I'm just saying, you know, if it says you
11 got a 2,000 foot zone and whether it's 2,000 or 1,500
12 and you got a piece of critical equipment that needs
13 to either be moved or hardened, that's what you're
14 after.

15 As engineers, we all think we can
16 calculate these things to a decimal point when the
17 reality is, the assumptions are throwing you all off.

18 MR. SKEEN: Okay. So --

19 MR. KUPREWICZ: So there are no real good
20 tools to tell you the actual impact zone. But for a
21 42-inch pipeline operating this MAOP (phonetic), it's
22 going to release a lot of tonnage.

23 Especially, you're more likely -- Enbridge
24 is saying, I think six minutes. I'm not saying
25 they're wrong with the six minutes. Six minutes could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 easily be 15 and 15 could be 30.

2 But you know, in trying to calculate this
3 stuff you'd like to tie it down, it's a tough one. So
4 you probably want to think about, here's our base case
5 and here's the sensitivity case.

6 MR. SKEEN: Right. When you talked about
7 having facilities hardened, if our components are
8 inside a, let's say an 18-inch or two footer or three
9 foot thick reinforced steel concrete structure --

10 MR. KUPREWICZ: No problem.

11 (Simultaneous speaking)

12 MR. SKEEN: -- from hardening?

13 MR. KUPREWICZ: Yes, you're fine.
14 Concrete, you know, it's going to handle the blast and
15 the blast pressure, your own experts will help you out
16 here, it dissipates very quickly with distance. And
17 so the concrete is going to withstand that within
18 reason.

19 The thermal radiation is what takes out
20 your power lines and forces you into the power, you
21 know, brings the plant, you can't get the power out
22 the plant is coming down. That's what I told them in
23 the Washington, D.C., meeting.

24 Come on, you guys. The fireballs generate
25 so much thermal flux. I've seen it liquefy aluminum

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 or vaporize aluminum and liquefy steel. It's hotter
2 than hell. And Steve knows all this stuff.

3 Where you get into discussion is, that can
4 be disagreement is, well, how quickly does it
5 dissipate. Well, heat radiation doesn't dissipate a
6 whole lot with distance. Right? Your experts will
7 tell you that.

8 MR. SKEEN: Right. Thank you. But like
9 I say, if the components, because there's lots of
10 components, it's a nuclear power plant, right?

11 MR. KUPREWICZ: Yes.

12 MR. SKEEN: I think you've seen from the
13 maps or drawings, they talk about the different
14 equipment that might be taken out by the blast or the
15 heat flux. What we've seen so far is that the closest
16 components that could be impacted, that we rely on for
17 safe shutdown of the plant are probably at least 1,800
18 from the closest point of the pipe rupture.

19 And those buildings are all maybe two
20 feet, or more than two --

21 MR. KUPREWICZ: You're on the right track.
22 Again, that's the kind of detail that maybe you can't
23 make public. And I didn't know all of -- I didn't
24 have a listing of all the sensitive shutdown
25 equipment, nor did I need to have it. But I said,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 look, concrete can handle the blast forces, it can
2 handle the thermal radiation.

3 If you've got a listing of that equipment,
4 whether it's 1,800 feet or 2,000 or 2,500, here's your
5 base case and they say, well, if this turns out to be
6 3,000, do I have anything else that's sensitive, and
7 you say no, because I've got it reinforced and all
8 that, then it's off the agenda, you're fine.

9 MR. SKEEN: Okay. Well, that's very
10 helpful because that's what we've been trying to
11 struggle with is when we talk about if the PIR is more
12 than what you calculate through the DOT equation or
13 even other equations, what is the impact on reinforced
14 concrete structures because in nuclear power plants
15 that's generally the really important to safety things
16 that are relied on to shut down the plant. We call it
17 safety related equipment.

18 That is all housed in very robust
19 buildings. It's designed against hurricanes and
20 tornados and the missiles that they can generate.

21 MR. KUPREWICZ: I think you're on the
22 right tack. I would just, if you're telling me you're
23 using the PIR then I'm going to come at you and say,
24 that's in the regulation but that's not its intent.
25 And I don't want to do that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SKEEN: Okay.

2 MR. KUPREWICZ: I just want to be sure
3 that, okay, if you use the PIR and you said, well, you
4 know, because this is not really a technically citing
5 tool. It was developed to be sure that pipeline
6 operators would be -- you know, do things to be sure
7 their pipeline would not rupture.

8 Now, understanding you can't guarantee
9 everything. And we've seen too many pipeline ruptures
10 even after inspections --- assessments.

11 But it was a kind of a, use this as a
12 starting point. So you can use PIR but then throw in
13 a, let's do a PIR 1.5 and see, that's a sensitivity
14 case.

15 And if you do that, someone can criticize
16 you for saying, well, it wasn't big enough. But no,
17 you tried to get the right away and you can't get away
18 the criticism from the PIR.

19 MR. SKEEN: Yes. Well, and basically
20 we're probably at two times the PIR for the components
21 to nuclear plants that could possibly be impacted,
22 right?

23 MR. KUPREWICZ: And that may be -- and
24 that would be a good thing. And now you're into,
25 okay, your kind of removing the criticism that appears

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to be reversed engineering to get the answer that you
2 wanted rather than just do what you think the science
3 is. And that's what I think you guys are trying to
4 do.

5 MR. SKEEN: Yes.

6 MR. KUPREWICZ: I don't have all the
7 answers but I've got a lot of experience in this area.
8 And so, just know the limits of your tools and if you,
9 and you've stated a limit but not necessarily known
10 whether it's absolute. Because engineers like to
11 think we're actually calculating exactitude.

12 But thrown in another, and so if you go to
13 two times and it's still covered, that's a defensible
14 action.

15 MR. NANNEY: Hey, this is Steve Nanney.
16 I've got to get off the phone. I'm just trying to let
17 you all know.

18 Rick, good hearing from you today.

19 MR. KUPREWICZ: Yes, good, Steve. And you
20 hang in there. You got a good man over there. And
21 he'll answer your questions. And so --

22 MR. NANNEY: And just to let you know, I
23 can't be answering the questions for you, but I am
24 giving them the correct information they need to look
25 at, so.

1 MR. KUPREWICZ: Because I -- it's in good
2 hands, let me put it that way. Good luck, Steve.

3 MR. SKEEN: Well, I appreciate that. And,
4 Steve, before you drop off, is there any questions you
5 wanted to ask or anything you wanted to get from Rick
6 before you drop off?

7 MR. NANNEY: No, if you don't mind, the
8 thing that you said they've heard from me on all of
9 those topics.

10 MR. KUPREWICZ: I wouldn't disagree
11 they've been much different. Doesn't mean that we're
12 necessarily both right, we could be both wrong.

13 MR. NANNEY: And just a, if you all don't
14 mind, just to tell you what I had told them is that I
15 had expected, with the remote control valves, my
16 experience told me that they need between ten and 20
17 minutes to, after the rupture, to identify and close
18 the valves with them being remote control, with
19 probably 15 minutes being what I think the average
20 number would be.

21 MR. KUPREWICZ: I wouldn't disagree with
22 that, but it's kind of like a balloon, you squish it
23 here and pops it.

24 MR. NANNEY: Yes.

25 MR. KUPREWICZ: Yes, we're on a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 similar, real world experience would tell you that
2 control rooms are funny animals.

3 MR. NANNEY: And also, I gave them our
4 proposed rule language for remote control valves --

5 MR. KUPREWICZ: Good.

6 MR. NANNEY: -- to see and see some of the
7 issues in there so that they can read about it. So
8 they do have that information too.

9 MR. KUPREWICZ: And the other data point
10 I'd give you, not that I'm here to pick sides, but
11 just on some of the OIG statements about Enbridge,
12 clearly Enbridge is trying to be truthful here so
13 that's a positive step.

14 MR. NANNEY: But the questions I have to
15 answer, I gave to Theresa to ask. But Rick may cover
16 them without asking. So Theresa has the ones I needed
17 asking.

18 MR. KUPREWICZ: Okay, Steve, well you take
19 care and don't be flying.

20 (Laughter.)

21 MR. NANNEY: I don't plan to. And you
22 all, and Rick and everybody else on the phone, take
23 care.

24 MR. SKEEN: All right, thanks, Steve.
25 Appreciate your help.

1 MR. NANNEY: Yes.

2 MR. KUPREWICZ: Steve's a good man. You
3 got a good one there.

4 MR. SKEEN: Yes, we're very pleased to
5 have Steve as part of our team. So this is good so
6 far.

7 Let me move on to, one of the things I
8 think you raised was -- so it wasn't just the three
9 minutes issue it was how long the event could occur
10 and even if you shut the valves the gas is going to be
11 released for a consider period of time. And you
12 suggested a transient graph of mass release versus
13 time.

14 Can you talk a little bit more about that?
15 Is that what you would normally do in your evaluations
16 of a line rupture?

17 MR. KUPREWICZ: Yes, we would. Though
18 normally we're not dealing with such a sensitive area.

19 You follow the laws of thermal dynamics
20 with two pipe ends blowing. And for a 42-inch running
21 about 850 pounds, and I think Enbridge is saying that
22 the valves that we would more reasonably close are 14
23 miles apart.

24 You're probably taking 20 to 30 minutes to
25 de-pressure that line segment. Now you can, depending

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on how your transient guys set up the models, they got
2 to follow the laws of science. And the laws of
3 thermal dynamics are the controlling factor.

4 And so the line is going to burn for quite
5 some time but the massive heat flux, with possible
6 explosions and high thermal radiation, probably occur
7 in the first five or ten minutes.


8 MR. SKEEN: Okay, that's helpful. Explain
9 that a little bit more.

10 MR. KUPREWICZ: Well, what happens is, and
11 you'll see this if you search the literature and
12 enough places are out there. Let's just say you got
13 one pipe end with full-bore rupture. The laws of
14 thermal dynamics are going to release at the speed of
15 sound in the gas. Which is over 4,000 feet a second.

16 That's why they'll sound like a rocket
17 engine blowing off, you can't tell direction. And the
18 heat flux is so high you can't tell the direction of
19 the heat. All right.

20 So what happens is, on this particular
21 one, the pipe has got a full-bore rupture. Let's talk
22 about the end that's feeding it from the compressor
23 station.

24 All of a sudden, let's say you had three
25 or four miles of pipe resistance there that went up to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 40 miles to the next compressor station let's say.

2 But now you only got three or four miles.

3 The compressor is going to try, depending

4 how they've controlled that, going to try to take --

5 compensate for the reduced system curve pressure drop.

6 Now I'm getting too techie, I'm probably losing you

7 here.

8 But what happens is --

9 MR. SKEEN: This is --

10 MR. KUPREWICZ: -- the compressor tries to

11 make up for the reduce resistance in the pipe.

12 MR. SKEEN: Okay, I understand.

If they had done the federal risk assessment correctly
and moved the compressor station could they
shut it down more quickly?

13 MR. KUPREWICZ: And so, you get an

14 increase in gas flow rate out the bore of the pipe.

15 The mass goes up. The mass rate of release goes up

16 but the velocity doesn't. It's set by laws of thermal

17 dynamics.

18 And so you'll get a spike in gas mass

19 release. All right. At that one end. You'll get the

20 same thing on the other end, accept it's probably not

21 fed by a compressor.

22 Those two releases on each end of the

23 opposing pipes will come together and then the impact

24 forces negate each other. So you get these huge gas

25 plumes. And if it ignites, then you've got the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem of buoyancy. The thermal effects take over.

2 So, what happens basically, let me step
3 back, is you're going to see a massive increase in the
4 tonnage of gas released. But it doesn't sustain that
5 because eventually the compressors catch up or their
6 under control.

7 So you'll see a peak in the gas rate and
8 then it starts to decline.

9 MR. SKEEN: In fact --

10 MR. KUPREWICZ: You can people to argue
11 whether its three minutes or ten minutes. It depends
12 on the system specifics.

13 MR. SKEEN: Okay, thanks, Rick. Did
14 someone else just join the line, I thought I just
15 heard a -- thought I heard a beep?

16 MR. NANNEY: Yes, this is Steve Nanney, I
17 came back on. My other call got cancelled so I
18 decided to come back.

19 MR. SKEEN: Great. Thanks, Steve, I
20 appreciate that. Sorry, Rick, go ahead.

21 MR. KUPREWICZ: Well, I was just saying
22 that depending on how you're set up, your system
23 curves and your transient analysis release, for both
24 ends of the pipes, you'll see different curves when
25 you plot pounds of gas release per time.

Is PHMSA releasing
looking at transient analysis?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But what happens is, you can take a big
2 jump up because the pipe system resistance has dropped
3 way down and the system may or may not compensate for
4 that. But then it starts dropping off.

5 And so it's the first five minutes or so
6 that are the most dangerous. It still can be lethal,
7 but super high heat radiations occur in that early
8 stage.

9 MR. SKEEN: Would you say that --
10 according to you, they usually don't last very long,
11 it's going to last five minutes or so and then it's
12 going to --


13 MR. KUPREWICZ: Well, it will depend on
14 the system. No matter how I answer this, someone is
15 going to come at you.

16 But the key is, it's very lethal. And
17 like I said, it's so high and the blast forces are so
18 great, but the heat radiation is what really gets
19 people. It will vaporize the aluminum. It will
20 liquefy the steel, if you're too close.

21 Now, if you're in concrete structures,
22 that's not a big deal, right?

23 MR. SKEEN: Yes. If I'm in a concrete
24 structure 1,800 feet away you're saying --

25 MR. KUPREWICZ: Oh no, you're -- yes, I've



What about the casks?
Has anyone asked him
about actual
decommissioning
activities?

1 even seen wooden structures survive at those distances
2 but they don't survive very long.

3 MR. SKEEN: Yes.

4 MR. KUPREWICZ: If you don't get the heat
5 down some.

6 MR. SKEEN: Okay. Well now, that's
7 helpful. I appreciate that.

8 So, I guess the next thing, and maybe
9 you've already answered this, one of the other things
10 that I've seen you had raised was by doubling the
11 pipe, you're just going to double-end it guillotine
12 break and say that's conservative, and I think you had
13 said that that was not --

14 MR. KUPREWICZ: Well, I would step back a
15 second. Be careful of the use of conservative because
16 that opens you up to attack.

17 MR. SKEEN: Okay.

18 MR. KUPREWICZ: You may mean well by its
19 application, but if it isn't conservative and they
20 catch you at something that isn't conservative, it
21 undermines your credibility and there's no need to do
22 that.

23 What I would say is a pipe rupture is
24 always a guillotine break. It's a guillotine break
25 from both opposing ends with a big hole in the middle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And so you may throw a hundred or two
2 hundred feet of pipe steel weighing several tons into
3 shrapnel and then you got a guillotine on one end,
4 guillotine on the other. And they're coming out at
5 the speed of sound in the gas, which is usually a
6 little over 4,000 feet a second.

7 And those forces are hitting each other
8 and they're trying to cancel each other. So it
9 increases the buoyance, the net effect. Again, I'm
10 getting into details, probably putting you to sleep,
11 I'm sorry.

12 MR. SKEEN: No, this is fine, this is
13 good. This is helpful.

14 MR. KUPREWICZ: But it generates big gas
15 clouds. And if they're burning, that's where you see
16 these huge clouds and these big turbulences. And it's
17 hard to model the turbulence.

18 That's the thing that, that's why we
19 agreed on the PIR, let's not overdo this. You know,
20 some of these will work for 42-inches, some it will
21 not. Just don't use it for a citing tool.

22 MR. SKEEN: Okay. Well, thanks for that.
23 So, we talked a little bit about the use of ALOHA.
24 And are you saying that's not the right code to use?

25 MR. KUPREWICZ: Well, no, I don't recall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 if I told them, you know, they were using them. They
2 said they were using ALOHA and I said, yes, I wouldn't
3 have done that.

4 I did, I think, tell them, again, you're
5 asking from memory and at my age, I don't forget
6 anything, but the recall gets a little fogged up.
7 Basically, and the OIG kind of smoked that out.

8 What tool do you use? And so they may
9 have tried to use a tool, and clearly they've opened
10 up themselves to criticism because it's not
11 appropriate.

12 A pipeline rupture is gas coming out at
13 both ends of the pipes. And it's tough to model that.
14 There are attempts to do that by using mass
15 calculations and thing like that. But it's only going
16 to get you in the ballpark.

17 And that's why I say, try to use your PIR
18 and if you want to double that distance of sensitivity
19 and be sure everything is protected there, you're in
20 real good, you're in defendable course here.

21 MR. SKEEN: Okay. Because what I'm
22 looking at for this, what the team is interested in,
23 is our processes and procedures. And if using ALOHA
24 as part of what our process says to do, if that's not
25 correct, that's what we're trying to understand. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that something that we --

2 MR. KUPREWICZ: Yes, I would say, again,
3 I'm not the ALOHA expert, but I've never, I've seen it
4 used in a couple of different scenarios and it's not
5 appropriate for gas transmission pipeline ruptures.
6 Would be my experience.

7 So I think you need to chase that one down
8 a little more. And you're probably going to have a
9 hard time, well, what do you use.

10 Well, you got to find somebody familiar
11 with transient release dynamics for a gas pipeline
12 rupture that models both ends of the release. And
13 then you try to apply it to a specific site, which is
14 really tough.

15 MR. SKEEN: And are there programs out
16 there that do that?

17 MR. KUPREWICZ: I've not run across,
18 usually I run across guys -- there are models that are
19 out there, I haven't run across too many that I can
20 site.

21 MR. SKEEN: Okay.

22 MR. KUPREWICZ: To be specific. It's a
23 tough nut. A lot of this stuff is very site-specific.

24 MR. SKEEN: Yes. And I don't know, have
25 you seen many 42-inch gas line ruptures?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUPREWICZ: Well, now you let me think
2 in 50 years --

3 (Laughter.)

4 MR. KUPREWICZ: The answer is not many.
5 You know, the first rule of gas pipeline, especially
6 of 42-inch is, don't rupture. Which is why we've had
7 so much time trying to make the PHMSA temp regulations
8 a little more meaningful.

9 And many companies get it and are staying
10 well ahead of the federal regulations and other
11 companies don't. All right. And there are some
12 things they just can't assess.

Spectra? If they did this, then
why wouldn't they be saying this?

13 So I'll warn you this, you need to do what
14 you guys are doing because there is no such thing as
15 an invincible pipeline. And I've been across the
16 table from companies under oath who have tried to
17 explain they put one in, and the answer is, no, you
18 didn't.

19 MR. SKEEN: Yes, so, I guess that leads us
20 into integrity management program. Because there's
21 threats you have to look at, right, under that --

22 MR. KUPREWICZ: You're supposed to look at
23 them, yes. And again, many companies are way ahead of
24 that, other companies are not.

25 We've had -- I don't think it's a problem

1 here but like SCC, stress corrosion cracking, we still
2 don't have an inline inspection tool that reliably
3 identifies that material.

4 Now, the good news is not all gas
5 transmission pipelines have a bona fide threat from
6 stress corrosion cracking.

7 MR. SKEEN: Right. But if this truly is
8 an HCA and they enhance the piping and the maintenance
9 and all that and they meet that program, does that
10 reduce the probability of --

11 MR. KUPREWICZ: Yes, it does. And the
12 answer to your question, the answer is yes.

13 And I say this many times in public, a
14 pipeline company doing the right thing should have no
15 problem explaining how they are in demonstrating what
16 the right things they are doing to prevent a pipeline
17 from rupturing. Right? It's when they get into
18 secrecy and lack of transparency they start getting
19 into trouble.

20 MR. SKEEN: Okay. Now that's helpful.

21 MR. KUPREWICZ: So just, you just don't
22 want to meet, and Steve will tell you this, the
23 federal mins are minimal so you want to exceed those,
24 especially any lines that are getting around 24, 36,
25 42-inch. Those have big actual impact areas. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 don't rupture.

2 MR. SKEEN: Okay, thanks. Thanks, that's
3 helpful. I think we've covered this already but I
4 want to make sure. So when we look at the different
5 aspects of a rupture where there will be detonation at
6 the rupture or jet fire or vapor cloud detonation or
7 the --

8 MR. KUPREWICZ: Let me help you out. It's
9 not going to be a jet fire. No, that sounds like
10 engineers trying to logic it.

11 If they try to say it's kind of like this,
12 it's like a jet fire, they are showing to me that they
13 don't grasp the real dynamics of a true gas
14 transmission pipeline rupture. Yes, it could be jet
15 fires, but they're coming together, all right,
16 neutralizing each other and forming huge clouds of
17 hydrocarbon that are mixing.

18 And so, engineers like to put these things
19 in boxes, and I'm not trying to be critical, it's just
20 that when they try to put those boxes in and they
21 don't apply, they lose credibility. And so, I just
22 warn you about that.

23 MR. SKEEN: Okay. So you would focus more
24 on the detonation itself at the rupture or a vapor
25 cloud detonation or detonation --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUPREWICZ: Yes, it's probably a
2 detonation. The initial ones are the attention
3 getter. And depending on a 42-inch, it's probably
4 going to have multiple because, think of it as, you
5 had this huge tonnage of gas release. It's coming out
6 at the speed of sound on both ends of the pipe to kind
7 of cancel each other. Not taking it to zero but their
8 opposing forces are cancelling out.

9 And then it's mixing with the air and all
10 this and there's a lot of turbulence. And so the
11 turbulence can cause parts of the gas cloud to hit the
12 area that will support combustion and then you'll get
13 an explosion.

14 Other parts of the gas cloud won't hit
15 that and won't explode. **But then they'll re-explode.**
16 So it changes that mixing and the complexity and the
17 turbulence is very difficult to model.

18 MR. SKEEN: Okay. But again, we would go
19 back to, if we're twice the distance in the PIR, even
20 with those clouds being formed and exploding, what
21 about structures 1,800 feet away?

22 MR. KUPREWICZ: I would think that would
23 be a defensible action. Now, I can open some
24 criticism, but you've tried to do the best you can
25 with the tools you have.

1 MR. SKEEN: Okay.

2 MR. KUPREWICZ: And the sensitivity
3 analysis would be defensible.

4 MR. SKEEN: Okay. I appreciate that.

5 MR. KUPREWICZ: Part of the problem may
6 have been not getting straight -- you know, you're
7 kind of using these tools to say it's this impact
8 area. But you may be off. And so it may be two or
9 three times that impact area.

10 And you couldn't really list the
11 structures that were needed to bring that plant down.
12 So that could have been part of it.

13 MR. SKEEN: Yes. Well, I think clearly we
14 can, I think we can identify the structures that we
15 need, the components we need to do safe shutdown of
16 the plant. And --

17 MR. KUPREWICZ: You don't have to list
18 them in a public document but you can demonstrate to
19 your organization that that's due diligence as best
20 you can. Understanding that everybody thinks they can
21 calculate this to the first digit, and the answer is
22 there's a lot of uncertainty here.

23 MR. SKEEN: Yes. I appreciate that.

24 MR. KUPREWICZ: What aggravated this was
25 hearing that they can shut this down in three minutes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That's not credible.

2 MR. SKEEN: Yes, we're --

Three minute shutdown not credible.

3 MR. KUPREWICZ: It may have been they took

4 three minutes to close the valve, but it might take 15

5 minutes to understand you need to close the valve.

6 You get it.

Someone better track it down because our lives are
on the line.

7 MR. SKEEN: Yes, I appreciate that. And

8 we're still trying to track down the three minute

9 issue.

10 Then we look at it, if three minutes is
11 not the answer, then what's a credible amount of time,
12 and even if that credible amount of time is the time
13 that you have the high heat flux, is that going to
14 impact the safe shutdown equipment for the plant?

15 MR. KUPREWICZ: You got it. You've got it
16 right there. And they can argue 15, 20. But you're
17 heading in the right direction there.

18 And that's where all I kept getting was,
19 no, we can do it in three minutes and that's, where
20 did you get this. No, that's three minutes to close
21 the valve, that doesn't mean, yes, you're on the
22 right, you get it. You guys have got it.

23 MR. SKEEN: Okay, thanks, I appreciate
24 that. I'm going to open it up to the other team
25 members I've been talking for a while.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I think I've captured most of the
2 questions and concerns that I had, but others may have
3 thoughts as well. So, Theresa, I'll turn to you and
4 the other team members. If you've got any other
5 questions or anything Rick can clarify for us while
6 he's on the phone.

7 MS. CLARK: Hey, Rick, this is Theresa.
8 Thanks so much, this has already been really, really
9 helpful. And it's, obviously, as you mentioned,
10 confirming a lot of the stuff that we've been hearing
11 from Steve.

12 I wanted to ask you a question about, you
13 talked some about the cloud and the mixing and the
14 turbulence. What impact, in your view, does the
15 topography of the location have on the consequences of
16 a rupture?

So if the topography during decommissioning is
constantly changing.

17 MR. KUPREWICZ: It's extremely critical
18 for gas. Natural gas.

19 MS. CLARK: Tell me more if you can.

20 MR. KUPREWICZ: Well, the back pressure
21 generated from the blast forces, when the burning goes
22 to detonation, at the velocities or whatever, it's the
23 resistance. And so, like if you got more open
24 structures, more open fields with a few buildings in
25 it, there isn't a lot of resistance to build back

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure, does that make sense?

2 MS. CLARK: Yes, it does.

3 MR. KUPREWICZ: And so, what drives people
4 crazy -- and I'm in some places, like in Pennsylvania
5 they're talking about HDL clouds, which you never want
6 to disrespect, okay. And blast forces and all this.
7 And they got both sides coming at each other.

8 And the answer is, is those blast forces
9 are site specific, all right. And so that's what
10 drive, you got two challenges here.

11 One, the heat radiation that's absolutely
12 going to be just off scale. If you just, if you've
13 ever been in these it will just do terrible things
14 quickly. You don't have many seconds and then if you
15 don't get out of the heat radiation you're dead. Or
16 going to die.

17 The blast forces are a different animal.
18 It's a different level of complication. So, if you've
19 got some uncertainty in trying to model this, I think
20 you got to do blast because you got to do projectile
21 stuff.

22 But even your projectiles, you've got
23 concrete structures, they're going to handle the
24 projectile. Especially if they're reinforced.

25 So, you've got two lines of attack here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One, the thermal radiation and the other one of the
2 blast forces. And trying to model those are going to
3 be more challenging because they tend to be more site-
4 specific.

5 And if you've got fairly flat terrain,
6 that's easier to model. So it's a challenge, that's
7 all I can tell you.

8 MS. CLARK: That's really helpful because
9 we were out at the site last week and it's a pretty
10 hilly site but without a lot of tree cover in the
11 area. They did clear cuts the way they should.

12 MR. KUPREWICZ: Yes.

13 MS. CLARK: But the plant is quite a bit
14 downhill from where the pipeline area is. And in some
15 cases there's a hilly part in between the plant and
16 the pipeline. And then it's downhill from that. So
17 we were trying to grapple with how that effects how
18 things progress.

19 MR. KUPREWICZ: Yes, I think empirically
20 you're in the right direction. The plant is not going
21 to get the, blast forces are hard to calculate and
22 predicate and they're very terrain specific.

23 But the fact that your lower for, is a
24 direction. So you can do a directional thing. My
25 experience would be, not knowing all the details, is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the heat radiation is going to be the real thing
2 that's going to be the real threat for the plant. And
3 if it's protected for that, that's a positive.

4 MS. CLARK: Okay, thanks, Rick. One more
5 clarification and then I'll pass you off to the next
6 person.

7 Very early in our discussion, and I'm only
8 asking this because we have a transcript here, you
9 made a comment like, when this -- if an explosion
10 happens you're going to lose the power plant. I think
11 that you meant like the switchyard and the offsite
12 power that goes to the nuclear station. Is that what
13 you meant there?

14 MR. KUPREWICZ: Yes. Now that's fair.
15 That's a fair call. But when I said explosion, you
16 get this blast force in the microseconds. The force
17 is related to a pipeline rupture on a 42-inch are
18 huge. This is like that concrete overbarrier. That's
19 gone. That's going to be flying someplace.

20 And so when I said blast, it's the -- and
21 I missed, and thank you for trying to get me to
22 clarify that because it's important. You got the
23 force of the actual failure which generates
24 projectiles and massive forces.

25 And then you got other forces generated

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from the ignition in such a manner that it generates
2 detonation. And they'd probably do multiple
3 detonations.

4 And that's what makes these things kind of
5 complicated. So, you're covered, if your structures
6 are reinforced and all that, you've got those really
7 covered, then the real factor is, from the ignition,
8 is what's going to happen is the heat flux is so how
9 it's going to melt the high-powered transmission lines
10 which are going to force the plant to come down. Does
11 that make sense?

12 MS. CLARK: Yes, that makes a lot of
13 sense. And certainly we analyze these facilities for
14 losing offsite power because that can happen for any
15 number of reasons.

16 MR. KUPREWICZ: Yes.

17 MS. CLARK: So, if that's what you were
18 saying, then we understand that and how to move
19 forward with that.

20 MR. KUPREWICZ: Well, I don't know if I've
21 clarified that because there's different degrees of,
22 I'm using blast to cover more than one term and that's
23 not fair to you guys.

24 MS. CLARK: No, that's totally fine. And
25 I think when you were saying you meant power in the T-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lines.

2 MR. KUPREWICZ: Yes.

3 MS. CLARK: Yes.

4 MR. KUPREWICZ: The plant can't come out,
5 it's got to come down. And in doing that, in bringing
6 those things down is a cold, what I call a cold
7 shutdown, what facilities are required. And if
8 they're covered then you got a defensible position.

9 MS. CLARK: That's fair, thanks. Maybe
10 I'll call on Suzanne next. If you have any questions,
11 Suzanne.

12 MS. DENNIS: No, I think you covered
13 everything that I had questions on. I really
14 appreciate you taking the time to talk with us, this
15 has been so helpful.

16 MR. KUPREWICZ: Well, we're just trying
17 to, yes, no one is looking for demons here. It's easy
18 in today's environment, it seems like somebody has to
19 win and the answer is, let's just do it right. If
20 it's covered, fine.

21 But the OIG report is not a very -- those
22 are the kind of things I don't like seeing because --
23 well, you understand, I'm preaching to the choir.

24 But, you know, they did their job. OIG
25 did their job. And they got some important findings

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there that you folks need to address.

2 MR. SKEEN: No, and that's exactly what
3 we're trying to do. So, again, we appreciate, Rick,
4 that you're forthcoming.

5 MR. KUPREWICZ: Do you think you're going
6 to have a shot at being able to do this in 45 days
7 with all this other stuff going on?

8 MR. SKEEN: Well, we're all working from
9 home right now. None of us are in the office. But
10 we're doing pretty well with communication. So we're
11 hoping to still get something to the Commission within
12 the 45 days.

13 MR. KUPREWICZ: Let me, it's easy for me
14 to say it, because I don't have to deal with, I'm too
15 old and don't agree. Hopefully, I survive the next 60
16 days, but it's very, my advice, it would be very
17 important, if you get hung up for whatever reason and
18 there's a lot of pressure to get this thing done but
19 the last thing you want to do is get rushed and not
20 cover your bases and to find out that you expose
21 yourself.

22 And so it's important to do it right as
23 best you can. And no one, they may criticize you, but
24 it's not going to go very far if you're trying to do
25 the right thing. So don't let time cause you to short

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circuit something.

2 MR. SKEEN: No, we understand that. But
3 again, like I say, talking to people like you, and
4 we're going to talk with Mr. Blanche as well to make
5 sure we understand their concerns.

6 Our role here is to try to figure out if
7 there are weaknesses in our processes and practices
8 that we do --

9 MR. KUPREWICZ: Yes.

10 MR. SKEEN: -- we can make that better
11 with the NRC. And also, we want to ensure that the
12 plant would be able to safely shutdown if there is a
13 problem with that gas line.

14 MR. KUPREWICZ: I had a chance to talk
15 with Paul yesterday. I said, look, I just went
16 through this report, the OIG is pretty dead on and so
17 you've raised, Paul, you raised some serious issues.
18 I don't know the answers to these but the questions
19 are valid.

20 But I did tell him, you know, you got
21 Steve Nanney from PHSMA on this, he's a pretty
22 straight shooter. So, hopefully the team is trying to
23 get to where they need to be.

24 So I'm not here to convince people what's
25 right and wrong, just to be sure the right questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have been asked and the answers are complete. But I
2 think your, it sounds like your heart is in the right
3 place.

4 MS. DENNIS: Hey, this is Suzanne Dennis.
5 I just had a question I wanted to ask.

6 So, one thing we talked about a little is
7 the -- when ignition would occur, and Steve has given
8 us his thoughts. But do you have any thoughts, just
9 from your history working with gas pipelines, of a
10 vapor cloud traveling and then igniting later?

11 Is that something that you think would be
12 credible or something you've ever seen working in the
13 industry?

14 MR. KUPREWICZ: Well, let me state real
15 clear, not all pipeline ruptures ignite, okay. That's
16 a fact.

17 Now, those that ignite usually dose out
18 fairly quickly within 30 seconds or so. In the
19 Carlsbad, New Mexico, case it was 22 seconds. They
20 can tell that from the seismic. That was in 2000, I
21 think. But that was a 36-inch I believe.

22 So I think the odds of having a large gas
23 cloud moving a long distance is probably low. But I
24 can't say it isn't absolute. But my experience has
25 been, if they're going to ignite they tend to ignite

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within a minute.

2 MS. DENNIS: Okay, great. Thanks.

3 MR. KUPREWICZ: Now, what people do miss
4 is, well, if we ignited once and it's burning like
5 hell over here but it's so great a release that it's
6 generating multiple combustion areas. So, that's what
7 makes modeling really crazy. So, anyway, that's the
8 way it is.

9 MS. DENNIS: Can you expand on that a
10 little bit more?

11 MR. KUPREWICZ: Well, and again, I don't
12 like to get into this too detailed. You guys are
13 okay, but the issue of turbulence with large gas
14 releases aren't modeled by the PIR. That's an
15 empirical developed thing that has limitations to it.

16 And so, people more sophisticated with
17 this stuff who do this for a living might try to model
18 that. But the tonnage is so great and the rate of
19 release is so huge, that you'll get pockets of areas
20 where it burns and other areas it doesn't burn. And
21 then as they mix for various reasons, it will
22 reignite.

23 And so, yes, you can't really, it's hard
24 to model that so you just try to do the best you can
25 and just say, here's what it is and we'll say, it's


NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.

(202) 234-4433

WASHINGTON, D.C. 20005-3701

(202) 234-4433



1 got an ignition of a long time (phonetic).

2 MS. DENNIS: Got it. Thanks.

3 DR. LI: This is Rene'e. I would like to
4 ask you a question. You mentioned earlier when a
5 pipeline break, assuming double-ended break, and then
6 the blowdown from both ends, it generate turbulence
7 and it will have a peak mass release. And then after
8 a couple of minutes it may drop off.

9 In your opinion, that peak mass release,
10 in general, will last about how long?

11 MR. KUPREWICZ: Well --

12 DR. LI: Are we talking about minutes or
13 a couple of minutes?

14 MR. KUPREWICZ: Oh, it's probably a couple
15 of minutes or less. It comes down pretty quick.

16 Why I'm a little hesitant about this is
17 you've got a big gas compressor station a couple of
18 miles upstream, all right. That could take over and
19 actually drive more gas to go down this.

20 Now, that's a thing that Steve and
21 Enbridge can lock down. A couple of years ago I told
22 the industry, if you're looking for a rupture
23 indication you look for flow, not for pressure. The
24 flow rates will go up.

25 So, generally where there is not a



NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 compressor station nearby, you get this peak and it
2 drops off fairly quickly within the first minute.

3 When you got complexities like compressor
4 stations, it's a couple of minutes.

5 DR. LI: Okay.

6 MR. KUPREWICZ: But --

7 DR. LI: Yes, because the duration of --

8 MR. KUPREWICZ: -- the facility --

9 (Simultaneously speaking.)

10 MR. KUPREWICZ: -- is still pretty long.

11 DR. LI: -- release will affect potential
12 impact radius that we are talking about.

13 MR. NANNEY: That's right.

14 MR. KUPREWICZ: No, you're on the right
15 track. Now, let me be clear here --

16 MR. NANNEY: Hey, this is Steve Nanney.

17 MR. KUPREWICZ: The nature of gas
18 transmission pipeline ruptures, they're always two
19 full-bore ruptures with a bit old hole in the middle.
20 Right?

21 DR. LI: Right.

22 MR. KUPREWICZ: And they don't have a
23 precursor that shows up as a leak, they go right to
24 rupture. The nature of the anomalies go to a point
25 where they fracture. And the pipe is, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fractures apart.

2 So, you know, someone says, well, I want
3 to model it with both bars, the answer is no, that's
4 what actually goes on.

5 (Laughter.)

6 DR. LI: But does it make a difference if
7 the pipe is above ground or underground? Do you also
8 still assume a double-ended break when the pipeline is
9 buried under ground?

10 MR. KUPREWICZ: Yes, it makes no
11 difference. The forces are so huge that your buried
12 pipeline is going to be right above ground when you
13 get done.

14 DR. LI: All right.

15 MR. KUPREWICZ: There's going to be a huge
16 crater. The resistance of the soil, even if with the
17 concrete barriers, isn't going to make any difference.

18 DR. LI: Okay.

19 MR. KUPREWICZ: Now, let me give you a
20 little story a few decades back. It wasn't a gas
21 line, it was another pipeline.

22 And they had put a thick concrete barrier
23 over their pipeline as a safety measure to try to keep
24 people from trying to hit their line. And the people
25 who were working around the pipeline, who didn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bother to call One Call, decided to just go right
2 through that concrete barrier.

3 And so, it sounds real good to have that
4 as a safety, but it can't necessarily be effective.

5 DR. LI: Yes.

6 MR. KUPREWICZ: So that's, again, it's
7 back to all steel transmission pipelines can rupture
8 if you're not respecting them.

9 DR. LI: Okay, thank you.

10 MR. SKEEN: Steve, did you want to jump
11 in, I thought I heard you try to say something?

12 MR. NANNEY: Yes, I was just going to say
13 something. And Rick can answer.

14 Based upon what Rick said, the reason the
15 volume would keep up is normally your gas transmission
16 compressor stations would be on a set pressure because
17 they do not have flow measurement at every compressor
18 station. But the main way to maintain volume is to
19 maintain a set pressure.

20 And that's why Rick said what he did is
21 because they'll have the compressor at the station set
22 to maintain, let's just say 800 pounds or 850 some set
23 pressure. And so if you rupture the line and the
24 pressure starts going down, it's going to start moving
25 more gas initially until it basically deadheads that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it's not getting enough volume to feed the compressor.

2 MR. KUPREWICZ: Yes, it will trip on such
3 low flow.

4 MR. NANNEY: Yes.

5 MR. KUPREWICZ: Maybe.

6 MR. NANNEY: So that's why Rick made the
7 comment that he did.

8 MR. KUPREWICZ: Yes, Steve is better
9 explaining. I'm too much, I'm too old to be clear I
10 guess. You're dead on, Steve, thank you.

11 Well, I hope this helps.

12 MR. SKEEN: Very helpful. Did anyone else
13 have any questions for Rick?

14 MR. NANNEY: Could I ask just a question
15 or two?

16 MR. SKEEN: Oh yes.

17 MR. NANNEY: Or did you all ask a couple
18 of the questions or the thoughts I gave to Theresa,
19 did you all ask them while I was off the phone?

20 MR. SKEEN: No, we did not get to all
21 those. No.

22 MR. NANNEY: Do you mind if I just ask an
23 item or two?

24 MR. SKEEN: Please do.

25 MR. NANNEY: Okay. As far as if you did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have a rupture and everything and you had facilities
2 that were hardened, but if you had any metal
3 facilities that were support facilities for that
4 structure, do you have any comments on it? On those
5 types.

6 MR. KUPREWICZ: Oh, that's an excellent
7 point. Yes, we talked about concrete. And a lot of
8 this is, you know, those are good.

9 But if you've got something that's got,
10 and I take an example, and I don't remember the
11 location, you got a diesel tank outside storing up
12 diesel for backup generators, if it's in within a heat
13 flux zone it's going to blow up, right?

14 Or the tank can fail, all right. Because
15 the metal structures are going to weakened. The heat
16 radiation, depending how close it is to the pipeline,
17 can be incredibly high.

18 MR. SKEEN: Yes. So we had looked at
19 that, and I appreciate that, because that's one of the
20 things we did look at. One of the first things we
21 looked at was that diesel fuel storage tank out there.

22 And while they could lose that tank, the
23 diesels themselves can run for four hours on the tanks
24 that they have internally, inside the building.

25 MR. KUPREWICZ: Yes. I think I remember

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 having that discussing some years ago. That's good.
2 Good to reinforce that.

3 MR. SKEEN: Then they have tanks below,
4 storage tanks that sit underground, underneath the
5 diesels, that are good for seven days. Seven day
6 tanks they call them.

7 And then they have these, they have this
8 tank that sits out on the parameter of the plant.
9 They have a tanker truck, basically, that they fill
10 that up and bring it in to fill up the day tanks is
11 what they try to do, right?

12 So what they've done is they've taken that
13 tanker that used to sit out with the diesel tank and
14 moved it to the other side of the plant. So it's
15 probably 2,000-plus feet, 2,500 feet away from where
16 the diesel tank is now. So further away from the gas
17 pipeline.

18 MR. KUPREWICZ: And I think, I didn't mean
19 to interrupt you, but one of the issues that came up
20 was the control room location. And I don't remember,
21 it's been awhile, is the control room recently
22 protected from any of this or is that --

23 MR. SKEEN: Yes. So the same thing with
24 the control room, it's in the auxiliary building,
25 which is also thick concrete building.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUPREWICZ: Yes. No, you're totally
2 fine. Okay.

3 MR. SKEEN: It's well-protected too. But
4 there was a concern about the fuel for the diesels.
5 So, they did move that tanker truck to the opposite
6 side, farthest away from the pipeline.

7 And so that gives them additional fuel for
8 the diesels as well. But we did look at that. That
9 was one of the first things we looked at was that
10 diesel fuel tank out there that was sitting near the
11 perimeter of the plant.

12 MR. KUPREWICZ: Good.

13 MS. DENNIS: And, Dave, just to be clear,
14 I think the fuel that co-located with the diesel was
15 a couple of days, not seven days. You might have said
16 seven.

17 MR. SKEEN: I'm sorry if I said seven.
18 Yes, it's a few days.

19 MR. KUPREWICZ: It will bring the plant
20 down, yes.

21 MR. SKEEN: That's also a full plant load
22 if you have an accident. And so, for normal plant
23 loads, if you shut down normally, those fuels should
24 last more than several days.

25 MR. KUPREWICZ: Steve, did you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 another question?

2 MR. NANNEY: Yes, sorry. Rick, another
3 question. I know you talked about the PHMSA or the
4 Part 192 potential impact radius.

Still using the PIR...

5 And the question I have there is, in your
6 understanding, the potential impact radius in the Part
7 192 code is a radius to give people basically X number
8 of seconds to get out of that potential impact radius
9 before basically it kills them.

10 And if you go read in the code and go on
11 how it was developed. It wasn't developed to protect
12 structures, it was protected to just give people X
13 seconds to get out of that PIR.

14 MR. KUPREWICZ: Yes, if memory serves me
15 right, it was the same thing we used for flare design,
16 5,000 btu per hour, per square foot.

17 MR. NANNEY: Yes.

18 MR. KUPREWICZ: And 5,000 --

19 MR. NANNEY: And it is 5,000.

20 MR. KUPREWICZ: -- btu per hour, per
21 square foot, you're not going to be in real
22 comfortable zone.

23 MR. NANNEY: Right. And in fact, you'll
24 see people getting burned --

25 MR. KUPREWICZ: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. NANNEY: -- getting out of that a lot
2 of times when there is an explosion.

3 So, your understanding is, that's what it
4 is.

5 MR. KUPREWICZ: Right.

6 MR. NANNEY: Which is what I have told the
7 folks there at the NRC.

8 MR. KUPREWICZ: Yes. And I just try to be
9 real careful because in my mind, in my experience,
10 some were around 20 or 24-inch diameter pipe, you
11 know, the PIR is very accurate and reasonable.

12 But after that you start getting into this
13 turbulence factor and that's hard to predict. And so
14 I just, you got to do what you got to do.

15 We were trying to get a transmission
16 integrity management rule moving forward. And it
17 turned out it was 7.3 miles per, not the total mileage
18 of gas transmission lines.

19 But anyway, we're on the same wavelength.

20 MR. NANNEY: The other, and probably the
21 last little couple of questions is, if you put a
22 pipeline like this in and you put additional
23 mitigation measures in, like heavier wall pipe, you
24 put the pipe deeper in the ground and you put, as you
25 all were talking earlier, things in the ditch such as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 warning tape and maybe the concrete barriers as
2 mitigation measures against someone getting into the
3 pipeline, do you have any thoughts on like heavier
4 wall pipe and it being a High Consequence Area and
5 doing all the risk assessments and remediation efforts
6 there?

7 MR. KUPREWICZ: Well, I do. It's moving
8 in the right direction going, from your early
9 conversation, maybe you were off, I just counsel
10 people to be careful. While these are good and
11 they're moving in the right direction.

12 Like thicker pipe, that's a good thing.
13 Even the concrete barriers. I gave them a case where
14 --

15 MR. NANNEY: I heard that. Okay, we're
16 good.

17 MR. KUPREWICZ: -- I can't tell you what
18 state that was in, but it was a state of confusion.

19 (Laughter.)

20 MR. NANNEY: Okay.

21 MR. KUPREWICZ: And it wasn't the
22 operator's fault, or Christ almighty, they were
23 blowing right through there with a big old backhoe.

24 But anyway. So those are all moving in
25 the right direction. You just have to be real

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 careful, in especially in sensitive locations where
2 the consequences can be catastrophic, that you're not
3 overcompensating in your risk analysis and saying,
4 well --

5 And I think one of the criticisms is, one
6 of the specialists came up with, well, we'll use a 65
7 percent factor here, well, wait a minute, how the hell
8 you get, you know, that puts you in a bad spot. Try
9 to avoid that.

10 So, you can list those things as positive
11 things, you just got to be careful when you try to be
12 careful when you quantify their effect because there
13 is no such. It's amazing how people can figure out a
14 way to rupture steel pipeline.

15 And I've been in places where these guys
16 are under oath and they may believe it but it's not
17 necessarily true. Even though it's thicker and deeper
18 and all that, you got to be careful that certain
19 factors don't come together.

20 The law of Murphy works to conspire to
21 cause a failure.

22 MR. NANNEY: Okay.

23 MR. KUPREWICZ: And those are good things.
24 I don't want to downplay them, that's good that they
25 did them. But I also don't want to overcompensate for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what they did.

2 MR. NANNEY: I understand. Thank you.

3 MR. SKEEN: All right. Well, thanks,
4 Steve. Does anyone else have any other questions for
5 Rick?

6 All right, hearing none, Rick, we really
7 appreciate you talking with us. As I say, we're under
8 a tight deadline to try to get a report to our
9 Commission.

10 And we do have a good team working on this
11 but we thought it was very important that we spoke
12 with you since you were one of the technical experts
13 that were involved in this and had raised some
14 concerns about what the NRC might have done. So we
15 appreciate that.

16 And we've learned a lot from talking to
17 you today. Very helpful. I wonder, if we have any
18 subsequent questions would we be able to reach back
19 out to you and contact you again if we have any other
20 questions for you?

21 MR. KUPREWICZ: Any time. Just give me an
22 email and I may have a couple of, it comes in waves.
23 I just finished one.

24 So, send me an email and like I say, I can
25 come back and talk to you guys at this time or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whatever. But yes --

2 MS. DENNIS: Hey, Dave?

3 MR. KUPREWICZ: -- anything I can do to
4 help you guys try to meet your deadlines.

5 MS. DENNIS: Hey, Dave, this is Suzy. I
6 forgot one question. I'm sorry I'm not very on top of
7 the ball today.

8 So, when we were looking at the PHMSA
9 data, it has a separate category for leaks and
10 ruptures. So, I was just wondering if this was
11 something that you, like, would you assume that a leak
12 in relation to the PHMSA data would cause this kind of
13 catastrophic event?

14 MR. KUPREWICZ: There is no correlation
15 between leaks and rupture.

16 MS. DENNIS: Got it.

17 MR. KUPREWICZ: It's not illegal to leak.
18 If you rupture, you're probably in big trouble.

19 (Laughter.)

20 MS. DENNIS: Got it. Thank you.

21 MR. SKEEN: All right, thanks for that,
22 Suzanne. And thanks, Rick.

23 MR. KUPREWICZ: Hey, you guys take care
24 and have a good -- what day is today, Thursday?

25 MR. SKEEN: Today is Thursday.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. KUPREWICZ: Okay. Boy, I'm losing it.

2 MR. SKEEN: And if you think of anything
3 else we didn't cover or something that you think you
4 need to share with us, please feel free in the next
5 few weeks as we continue our efforts to get through
6 this evaluation.

7 MR. KUPREWICZ: No, I had a list of things
8 and you guys pretty well covered them. That's good.
9 That's a good thing you brought your team.

10 MR. SKEEN: Well, thank you, I appreciate
11 that. And again, thanks for talking with us. And if
12 we have any other questions we may reach out to you
13 again, but if you think of something else that we
14 didn't cover, please let us know.

15 MR. KUPREWICZ: I sure will. You take
16 care now.

17 MR. SKEEN: All right, thank you very
18 much.

19 MR. KUPREWICZ: Bye-bye.

20 MR. SKEEN: All right, bye.

21 (Whereupon, the above-entitled matter went
22 off the record at 2:21 p.m.)
23
24
25