



1270

1 NEW YORK STATE BOARD ON ELECTRIC GENERATING Siting

2 AND THE ENVIRONMENT 2002 AUG 27 PM 2:25

3 -----x  
4 DEPARTMENT OF PUBLIC SERVICE

5 Case 01-F-0761 - Application by KeySpan Energy  
6 Development Corporation for a Certificate of  
7 Environmental Compatibility and Public Need to  
8 Construct and Operate a 250 Megawatt Combined Cycle,  
9 Combustion Turbine Electric Generating Facility to be  
10 Developed in the Town of Huntington, Suffolk County

11 AND

12 DEPARTMENT OF ENVIRONMENTAL CONSERVATION

13 Case No. 1-4726-01500/00001 - in the Matter of  
14 Application for a State Pollutant Discharge  
15 Elimination System Permit Pursuant to Environmental  
16 Conservation Law (ECL) Article 17 and Title 6 of the  
17 Official Compilation of Codes, Rules and Regulations  
18 of the State of New York (6 NYCRR) Parts 750 et seq.,  
19 and Air Pollution Control permits consisting of a  
20 Preconstruction permit and a Certificate to Operate,  
21 pursuant to ECL Article 19 and 6 NYCRR Parts 200 et  
22 seq.

23 -----x

24

25 MINUTES OF EVIDENTIARY HEARING held at the Offices of  
26 Department of Public Service, One Penn Plaza, New  
27 York, New York, on Wednesday, August 14, 2002,  
28 commencing at 9:50 o'clock a.m.

29

30 BEFORE: ROBERT R. GARLIN,  
31 Presiding Examiner

32

33 KEVIN J. CASUTTO,  
34 Associate Examiner

ReporterLink Systems, Inc.  
Computerized Transcription  
Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 For DEPARTMENT OF PUBLIC SERVICE STAFF:

2 Three Empire State Plaza  
3 Albany, New York 12223  
4 BY: KIMBERLY A. HARRIMAN, ESQ.  
5 KEVIN LANG, ESQ.

6 For SOUTH HUNTINGTON ALLIANCE FOR  
7 RESPONSIBLE ENERGY:  
8 SIVE PAGET & RIESEL, P.C.  
9 460 Park Avenue  
10 New York, New York 10022  
11 BY: MARK A. CHERTOK, ESQ.  
12 KATE SINDING, ESQ.  
13 JAY EVERSMAN, ESQ.

14 For KEYSpan ENERGY DEVELOPMENT CORPORATION:  
15 ARNOLD & PORTER, ESQS.  
16 399 Park Avenue, 14th Floor  
17 New York, New York 10022  
18 BY: MICHAEL B. GERRARD, ESQ.  
19 ANDREW S. RATZKIN, ESQ.

20 \* \* \*

21  
22  
23  
24  
  
ReporterLink Systems, Inc.  
Computerized Transcription  
Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 JUDGE GARLIN: On the record.

2 I believe that the first panel indicated  
3 for this morning is the witnesses Agresti, Alexander  
4 and Smith, for the applicant.

5 Mr. Smith, you remain under oath.

6 J E F F R E Y S M I T H, recalled as a witness,  
7 having been previously duly sworn, resumed, was  
8 examined and testified as follows:

9 JUDGE GARLIN: The other witnesses,  
10 please raise your right hand.

11 M A R T I N A L E X A N D E R,  
12 A N T H O N Y A G R E S T I, called as witnesses,  
13 having been first duly sworn, were examined and  
14 testified as follows:

15 JUDGE GARLIN: Please be seated, and  
16 each of you please state your name and business  
17 address.

18 MR. ALEXANDER: Martin Alexander, 63  
19 Passaic Avenue, Summit, New Jersey.

20 MR. AGRESTI: Anthony Agresti, TRC  
21 Environmental, 1200 Wall Street West, Lyndhurst, New  
22 Jersey.

23 MR. SMITH: Jeffrey Smith, KeySpan  
24 Energy Development Corporation, 201 Old Country Road,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 Melville, New York.

2 MR. RATZKIN: May I proceed?

3 JUDGE GARLIN: Yes.

4 DIRECT EXAMINATION

5 BY MR. RATZKIN:

6 MR. RATZKIN: Mr. Smith, have you  
7 reviewed the prefiled rebuttal testimony of Anthony  
8 Agresti, Martin Alexander and Jeffrey Smith dated  
9 July 24th, and the testimony dated July 30, 2002?

10 MR. SMITH: Yes, I have.

11 MR. RATZKIN: Do you have any  
12 corrections or modifications to the testimony that  
13 you wish to make at this time?

14 MR. SMITH: No, I don't.

15 MR. RATZKIN: Mr. Agresti, have you  
16 reviewed the rebuttal testimony of Anthony Agresti,  
17 Martin Alexander and Jeffrey Smith, dated July 24th  
18 and July 30, 2002?

19 MR. AGRESTI: Yes, I have.

20 MR. RATZKIN: Do you wish to make any  
21 modifications or corrections at this time?

22 MR. AGRESTI: No, I do not.

23 MR. RATZKIN: Mr. Alexander, have you  
24 reviewed the rebuttal testimony of Anthony Agresti,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 Martin Alexander and Jeffrey Smith, dated July 24th  
2 and July 30, 2002?

3 MR. ALEXANDER: Yes, I have.

4 MR. RATZKIN: Do you have any  
5 corrections or modifications to that testimony that  
6 you wish to make at this time?

7 MR. ALEXANDER: No, I do not.

8 MR. RATZKIN: Your Honors, I move to  
9 have the subject testimony submitted into evidence.

10 JUDGE GARLIN: The rebuttal testimony of  
11 witnesses Agresti, Alexander and Smith will be copied  
12 into the record as if given here today orally.

13 (Continued on following page.)

14

15

16

17

18

19

20

21

22

23

24

**KEYSPAN ENERGY DEVELOPMENT CORPORATION**

**REBUTTAL TESTIMONY  
OF  
ANTHONY C. AGRESTI  
MARTIN ALEXANDER  
JEFFREY L. SMITH**

**IN SUPPORT OF SECTION 11.0 OF THE  
SPAGNOLI ROAD ENERGY CENTER PROJECT  
ARTICLE X APPLICATION  
Case 01-F-0761**

**July 24, 2002**

Case 01-F-0761

## AGRESTI/ALEXANDER/SMITH

1 Q. Please state your names and business addresses.

2 A. My name is Anthony C. Agresti, and my business address is 1200 Wall Street  
3 West, Lyndhurst, New Jersey.

4 A. My name is Martin Alexander, and my business address is 63 Passaic Avenue,  
5 Summit, New Jersey.

6 A. My name is Jeffrey L. Smith, and my business address is 201 Old Country Road,  
7 Melville, New York.

8 Q. Mr. Agresti, have you previously provided testimony in these proceedings?

9 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
10 X Application that was filed on January 28, 2002. My educational background  
11 and professional qualifications are set forth in that testimony.

12 Q. Mr. Smith, have you previously provided testimony in these proceedings?

13 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
14 X Application that was filed on January 28, 2002. My educational background  
15 and professional qualifications are set forth in that testimony.

16 Q. Mr. Alexander, please state your position and the duties of your employment.

17 A. I am a sole proprietor providing consulting services in the area of noise and  
18 vibration measurements, noise control impact assessment, noise control and  
19 architectural acoustics.

20 Q. How are you qualified to perform your employment duties?

21 A. I have a bachelor's and master's degree in Mechanical Engineering and have  
22 worked in the area of acoustics and vibration for the past 30 years, both as a  
23 consultant and an application engineer and market manager for Bruel & Kjaer. I

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 have provided testimony before planning boards throughout the state of New  
2 Jersey regarding noise impact from commercial and industrial projects and have  
3 testified in New York City Housing Court, Maryland and New Jersey Public  
4 Utilities Commission Hearings, regarding noise impact of projects, and in several  
5 court cases. I have provided noise control consulting services for Con Edison,  
6 General Public Utilities, Baltimore Gas and Electric, and the Power Authority of  
7 the State of New York, among others. I have taught acoustics and noise control  
8 courses for The Center for Professional Advancement, and for Bruel & Kjaer, and  
9 am a member of the Acoustical Society of America Noise Committee.

10 Q. Does your curriculum vitae, which is attached as Exhibit \_\_ (AAS-1), fairly and  
11 accurately represent your professional experience?

12 A. Yes.

13 Q. Please describe your role in the Spagnoli Road Energy Center project.

14 A. I was retained by KeySpan Energy Development Corporation to provide expert  
15 consulting and testimony on noise issues. While I did not play the primary role in  
16 the noise impact analysis for the site, I do provide input to ensure that the  
17 modeling and evaluation are a thorough and accurate description of the existing  
18 and eventual conditions.

19 Q. Are you supporting a portion of the application of KeySpan Energy Development  
20 Corporation for a Certificate pursuant to Article X of the New York State Public  
21 Service Law ("Application") as a member of this witness panel?

22 A. My testimony supports Section 11 of the Application.

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Q. To the panel: have you reviewed the testimony of Eric J.W. Wood and Beth  
2 Constantino?

3 A. Yes.

4 Q. Is the noise modeling analysis presented in the Article X Application a realistic  
5 estimate of project noise or an overly conservative estimate?

6 A. The modeling analysis conducted for the Application is extremely conservative in  
7 nature.

8 Q. Could you please explain what makes the analysis conducted for the Application  
9 so conservative?

10 A. The initial modeling analysis for sensitive receptor locations assumed that all  
11 facility sources were located on the property, and that each source propagated  
12 noise out in all directions, with absolutely no credit taken for the noise shielding  
13 which would be provided by facility buildings or other structures. Further, the  
14 model assumed that the condensate pumps, which are major noise sources, would  
15 be outdoors, when in reality, they are designed to be within an enclosure. In  
16 particular, the proposed turbine building will be a large noise barrier, for which no  
17 credit was taken in the initial modeling. The only barrier effect considered in the  
18 modeling was for the existing berm along the LIPA transmission line, and this  
19 credit was only taken for the SUNY campus buildings.

20 Q. Could you please explain why the Applicant chose to use such a conservative  
21 noise modeling study for the Application?

22 A. Yes. The modeling analysis conducted for the Application, for the offsite  
23 receptors, was designed to demonstrate that, even with extremely conservative

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 assumptions, noise generated by the proposed project would comply with the  
2 NYSDPS required modified CNR rating of "C" or better at any residential  
3 sensitive receptors and at the nearest SUNY campus buildings. A more refined  
4 analysis would yield only lower noise levels.

5 Q. Mr. Agresti, have you had occasion to perform an additional or more refined  
6 noise analysis since the Application was submitted?

7 A. Yes. The additional noise analysis, including a technical report describing the  
8 modeling, is attached to this testimony as Exhibit \_\_ (AAS-2).

9 Q. Can you please describe the subsequent analysis.

10 A. I have since remodeled the facility noise sources, using the same input data as  
11 presented in the Application, with the following exceptions. I re-calculated  
12 turbine building wall noise, as a function of interior noise propagated through the  
13 walls. I also updated the building wall material to the more massive walls  
14 currently proposed for the project, rather than the thin wall material  
15 conservatively assumed in the original analysis, by including the planned  
16 transformer wall fire barriers. I also assumed that the condensate pumps would be  
17 inside an enclosure.

18 I also used a different noise model, called CadnaA, which is widely used  
19 by other noise consultants and engineers in performing noise studies. This model  
20 is able to account for all buildings and structures that are entered into it: both the  
21 barrier effect and the reflections that occur from the structures.

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1           With regard to barrier and shielding effects, I took credit for all the  
2           proposed buildings and structures, including the transformer fire walls, and  
3           retained the transmission line berm.

4   Q.    Did the refined analysis assume any mitigation proposed by the Applicant since  
5           the Application was filed?

6   A.    Yes. The Applicant plans to construct a fourth transformer noise barrier wall just  
7           east of the main transformer. The fourth transformer barrier was assumed to be  
8           located 40 feet east of the transformer tanks, reaching 25 feet high, and 75 feet  
9           long. This change was accounted for in the refined analysis as well.

10   Q.   Are the assumptions in the refined analysis nonetheless conservative?

11   A.    Yes.

12   Q.    What conservative features did you retain in the model?

13   A.    In order to retain conservative estimates, I configured the model to treat all the  
14           ground surfaces as hard, acoustically reflective surfaces, when in reality, the  
15           vegetation and sand/soil will act as partially absorptive surfaces. I did not account  
16           for any foliage or other vegetation which would also act to reduce noise. In  
17           addition, when I configured the model, I introduced the assumption that all  
18           structures are noise-reflecting surfaces

19   Q.    Did the refined analysis include the addition of any new noise sources?

20   A.    Yes, several sources were added to the model. These include a fin fan cooler  
21           adjacent to the air-cooled condenser, a cooling water module inside the turbine  
22           building and the turbine compartment vent fan, which was exhausted through the  
23           turbine building roof.

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Q. What were the results of the refined modeling analysis?

2 A. The refined analysis revealed that lower, and in some cases, significantly lower,  
3 noise levels are projected at all locations.

4 Q. To the panel: turning to the testimony of Eric Wood, Mr. Wood claimed that the  
5 proposed facility would not meet the Huntington lot line noise performance  
6 standards. Do you disagree?

7 A. No, that's why Applicant is seeking a waiver under PSL § 168.

8 Q. Mr. Wood testified that the proposed facility could more closely meet the lot line  
9 standards by using the "quietest plant design and equipment that are commercially  
10 available and practicable regardless of whether it would achieve the property line  
11 standard." He goes on to state: "I do not find anything in the Application to  
12 indicate that KeySpan has done or will do this." Do you believe that this  
13 statement is fair and accurate?

14 A. No.

15 Q. Why not?

16 A. In Mr. Wood's view, the Applicant should utilize the quietest equipment  
17 "practicable." Similarly, he interprets the Draft Certificate as requiring the  
18 Applicant to comply with Huntington's lot line standards to the "fullest extent  
19 practical." Even assuming his interpretation is correct, use of the terms  
20 "practicable" and "practical" indicates that economic considerations are relevant.  
21 A measure that might be technically or technologically possible may not be  
22 warranted because it is impractical or unreasonable.



Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Q. How common is it for economic considerations to be weighed as a factor in the  
2 determination of appropriate noise mitigation measures?

3 A. It is quite common for economic and practical considerations to be considered for  
4 determination of appropriate mitigation measures. Even where it is technically  
5 possible to meet a noise specification, often the marginal benefit of a measure is  
6 deemed insufficient to outweigh other considerations, and other measures, such as  
7 variances, are sought. For example, it would be unreasonable to require an  
8 applicant of a project to require noise control that would add 20% to the cost of  
9 the project to meet a regulatory limit, if it was clear that no one would be  
10 impacted should the regulatory limit not be met. If a project site bordered on an  
11 industrial site, it would be impractical to meet a limit specified for protecting the  
12 public health and welfare, if no residential uses would be impacted by the noise.  
13 In industrial noise cases, cost of engineering noise control is often considered in  
14 the decision of whether to reduce sound levels or use a less costly hearing  
15 conservation (i.e., hearing protection and worker education) program.

16 Q. Has the Applicant considered all "practicable" or "practical" measures to attempt  
17 to attain the Huntington lot line standard?

18 A. Yes. Note that the human ear can generally discern changes in noise levels of  
19 about 3 dB or greater. This must be kept in mind when considering whether the  
20 benefit of a change in equipment or other design changes is warranted or  
21 reasonable.

22 As set forth in the Application and further evaluated in the refined  
23 modeling analysis, Applicant has investigated the quietest air-cooled condenser

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 commercially available (equipped with so-called "stealth" fan blade technology),  
2 but has concluded that the noise level improvement derived through use of this  
3 equipment will not be noticeable to the human ear, and will not allow the  
4 proposed facility to meet the lot line standards. Where the benefit attained is  
5 warranted, Applicant has committed to design and equipment that will make a  
6 significant difference in noise levels. Applicant has committed to placing noise  
7 generating components, such as the condensate pumps, the combustion turbine,  
8 the HRSG and the gas compressor station, indoors in a significant, acoustically  
9 treated building, and to installing a fourth wall in front of the transformer. In  
10 addition, the HRSG stack will have a significant silencer and the turbine air inlet  
11 will also have a silencer. Applicant has also committed to installing sound  
12 absorbing equipment in the turbine building walls. As to any further changes,  
13 quieter equipment would not be practical, considering the marginal benefit  
14 attained.

15 Q. Please explain.

16 A. Use of the ACC equipped with "stealth" fan blade technology would achieve a  
17 level of 32 dBA at 1800 feet. By contrast, the ACC currently modeled for the  
18 facility achieves a level of 35 dBA at 1800 feet. Recall that the human ear does  
19 not usually perceive changes less than 3 dBA. As set forth in Exhibit \_\_ (AAS-  
20 2), replacing the ACC modeled in the Application with the lower noise unit would  
21 result in no significant benefit, either under the CNR analysis, or for the  
22 cumulative increases at any residential locations. There would be a one dBA or  
23 less improvement in total project noise at all locations. Improvements in

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 cumulative late night noise (project plus background) would be limited to 1 dBA  
2 or less (and for most locations 0 dBA) at all locations.

3 Q. Mr. Wood also testifies that the Applicant should have modeled noise sources  
4 such as turbine building ventilation fans, water treatment equipment, steam lines  
5 and drains, the turbine building roof, the station service transformer, the  
6 combustion turbine generator compartment exhaust fans, the load compartment  
7 exhaust fans, and the "ACW" cooler (presumably the cooling water module).  
8 What is your response to his suggestion?

9 A. As noted previously, the refined modeling analysis included many of these  
10 components. Some of the sources noted, including the service station  
11 transformer, would be insignificant noise sources. Directivity effects for roof  
12 generated noise would act to render this source insignificant, when compared to  
13 noise transmitted horizontally through the vertical building walls.

14 Q. In your view, then, has the Applicant committed to use the facility components  
15 that will deliver the greatest noise reduction practical?

16 A. Yes.

17 Q. Would placement of the proposed facility on a 50 acre parcel enable the proposed  
18 facility to meet Huntington's lot line standards?

19 A. No. As set forth in Exhibit \_\_\_ (AAS-2), an analysis was conducted assuming the  
20 parcel site was increased to 50 acres. The resulting estimated 4 dBA reduction  
21 would still not achieve compliance with the standard.

22 Q. Mr. Wood claimed that the Extended Stay should be treated as a sensitive  
23 receptor, and as such, the modified CNR analysis should be applied there. He has

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 represented in his testimony that, using the background data presented in the  
2 Application, and the results of the Applicant's modeling analysis (which, as the  
3 panel previously testified, was overly conservative), he obtained a rating of "D",  
4 which exceeds the minimum rating of "C" required by NYSDPS. In the first  
5 instance, Mr. Alexander, can you please describe the composite noise rating  
6 ("CNR") method?

7 A. The original CNR model was first described in an article published in Noise  
8 Control magazine (an Acoustical Society of America journal) in 1955. Exhibit \_\_\_\_  
9 (AAS-3). Authored by Rosenblith, Stevens and Bolt of BBN, it became a  
10 common method of assessing a community's reaction to noise, especially after  
11 being described in Cyril Harris's Handbook of Noise Control. I have found over  
12 the years that the CNR is an accurate method of predicting community response  
13 to noise and evaluating reasonableness of noise complaints. The technique rates  
14 noise in terms of its octave band spectral content and then adjusts these ratings  
15 using several factors relating to the community's past exposure to the sound, the  
16 sound's duration, seasonal and day variations, the noise's "character," and noise  
17 levels in the community in the absence of the source under study. These adjusted  
18 ratings (letters are used for the different ratings) are then used to predict the  
19 expected community response to the noise. The relationship between the adjusted  
20 ratings and community response are arrived from a model relating the two,  
21 trained, as it was, using actual case histories for which community response and  
22 sound exposure data were known.

23 Q. What does the term sensitive receptor mean under the CNR method?

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 A A sensitive receptor is a location where people habitate. As described in the  
2 original CNR document, impact is evaluated "out of doors in the vicinity of  
3 residences." While the vast majority of areas considered as noise sensitive  
4 receptors are residential, there are other possible sensitive receptors, for example,  
5 parkland where people expect to experience solitude and/or an absence of the  
6 noise of our society, such as national parks (but not playgrounds or ballfields);  
7 and locations where low sound levels are important to proper functioning in the  
8 facilities, such as schools (where communication is critical), and hospitals.

9 Q. In your opinion, would a hotel or a commercial office be appropriately designated  
10 as sensitive receptors under the CNR method?

11 A. No.

12 Q. Why not?

13 A. Clearly a commercial office would not be designated as a sensitive receptor, since  
14 it does not encompass the activities of residential developments, and is certainly  
15 not used during the times of day when noise has its greatest potential impact.  
16 There are typically only indoor activities at a commercial facility, unless it  
17 includes loading docks or outdoor storage and loading, which will typically be  
18 dominated by the noise it produces itself. Commercial properties are almost  
19 exclusively air-conditioned and so open windows are not a factor in exposing  
20 indoor workers to exterior noises. In fact most modern office buildings do not  
21 have operable windows. Further, few office workers work during the late night  
22 hours, when noise sensitivity is often greatest. The latter is also related to the fact  
23 that noise impact is most common where outdoor leisure activities are common

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 and during the sleeping hours, where noise can interfere with sleeping. Neither of  
2 these activities are expected at commercial facilities.

3 Q. In your view, do the Extended Stay or Arrow office locations qualify as "sensitive  
4 receptors" under CNR analysis?

5 A. No. The CNR analysis was designed to be applied to residential uses, where  
6 people live year round and spend time out of doors and other sensitive uses, such  
7 as schools and parkland as described above. The Extended Stay, while it may be  
8 used for a few weeks or perhaps months at a time by someone, does not fit this  
9 category. Thus, it is not properly considered a sensitive receptor under CNR  
10 analysis. For the same reasons, it is even more apparent that a commercial facility  
11 like the Arrow offices does not qualify as a sensitive receptor.

12 Q. Mr. Agresti, have you, in any event, conducted a modified CNR analysis of your  
13 own for the Extended Stay?

14 A. Yes. I used the results of the latest, more refined noise modeling I conducted, and  
15 the results of the background noise monitoring, to calculate a CNR rating for the  
16 Extended Stay. Based on a site visit, it was determined that the facility has no  
17 pool or other outdoor amenities. Accordingly, I applied a correction factor for  
18 mainly indoor use (e.g., wintertime correction). The resulting analysis reveals  
19 that a late night rating of "B", with at least a one dB margin in each octave band,  
20 would result. See Exhibit \_\_ (AAS-2). This is below the CNR rating that would  
21 be required if the Extended Stay were considered to be a sensitive receptor.

22 Q. What are the nighttime noise levels at the Extended Stay?

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 A. The average measured  $L_{90}$  nighttime level is 43 dBA. The modeled facility level  
2 at this location is 44dBA under both refined model scenarios.

3 Q. Regarding the SUNY campus, did you re-evaluate the CNR rating there using the  
4 new modeling results.

5 A. Yes, I did. The lower noise levels from the refined modeling reveal that there is  
6 at least a one dB margin in each octave band for the SUNY Campus dormitory  
7 under the first refined model scenario and a minimum 2 dB margin with the air  
8 cooled condenser employing the "stealth" fan blade technology. Further, I re-  
9 evaluated the background for this location. (Note that, to be conservative, we  
10 modeled the closest SUNY building as a dormitory. In fact, according to a SUNY  
11 map, the modeled structure is actually an administrative building, presumably  
12 with daytime use only. The actual dormitories are located further away.)

13 The background correction is part of the CNR analysis. The measured  
14 ambient late night octave band levels, without the project, are entered onto data  
15 plots. A correction factor is then obtained from these plots. Figure E-17 of  
16 Appendix 11A is the background correction for the SUNY dormitory. The final  
17 CNR rating is the initial rank plus the background correction. While we initially  
18 took a correction of +1 to remain conservative (and the modeled "B" initial rank  
19 +1 = C for the campus building), the curve really fluctuates between 0 and +1.  
20 The background CNR correction is therefore actually between a "0" and a "+1";  
21 not simply the "+1" I conservatively used in the Application CNR analysis.  
22 Using the more realistic "0" to "+1", the final rating for the SUNY "dormitory" is  
23 actually between a "B" and a "C" under both refined model scenarios.

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Q. Did you identify any other changes in noise levels as a result of your refined  
2 analysis?

3 A. Improvements to the calculated increases in late night levels were realized at  
4 many locations. For example, the increase at Carnation Drive drops from 3 dBA  
5 in the Application to 0 dBA with the refined modeling. While the refined  
6 modeling revealed lower calculated noise levels, no improvements in the  
7 modified CNR ratings were realized.

8 Q. Mr. Wood maintains that a safety margin of 3 dB should be used for the analysis.  
9 Mr. Agresti, what is your opinion of that margin?

10 A. Safety margins are an important part of the actual design of the project. The  
11 safety margin which the final noise designer will use when designing the project  
12 will be at that designer's discretion. The designer will obtain noise guarantees  
13 from equipment vendors and he/she must use whatever margin he/she is  
14 comfortable with in guaranteeing that the noise limits will be met.

15 The analysis I conducted here, which is typical during the licensing phase  
16 of a project, is based, to the extent possible, on data estimates from  
17 manufacturers. However, because the equipment has not been purchased, no  
18 guarantees are available from manufacturers. The purpose of this noise modeling  
19 study and Application are to demonstrate that it is possible to design the project to  
20 comply with the acoustic design goals set forth in the Application. The final  
21 noise designer must achieve these limits, and it is at that time that the designer  
22 will apply the safety margin he/she believes is necessary to guarantee  
23 performance.



Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Q. Mr. Alexander, do you understand the basis for Mr. Wood's opinion that a safety  
2 margin of 3dB is appropriate?

3 A. No. I do not believe that such a margin is appropriate or necessary here.  
4 Certainly, there is no legal requirement. Moreover, I am not aware of an industry  
5 or professional guideline that supports such a margin. As Mr. Agresti explained,  
6 the assumptions in the model are based on manufacturer's guarantees – it is  
7 therefore a reasonable assumption that they have built in their own safety  
8 margins. If they do not, the risk is theirs. My own practice, wherever possible, is  
9 to design for noise levels to be at least one dB below requirements. But I  
10 reiterate, that this is something done when possible. In any event, the results of  
11 the refined model indicate a minimum of at least a one dB margin at all sensitive  
12 receptors.

13 Q. Mr. Agresti, in addition to the refined noise modeling that you conducted,  
14 did you do any further background noise monitoring in the area, to further  
15 quantify existing ambient noise levels?

16 A. Yes. Additional noise monitoring programs were conducted at neighboring, non-  
17 residential uses, including the Austin Travel building and the Arrow Electronics  
18 building adjacent to the property line of the proposed facility site, and at the  
19 Extended Stay.

20 Q. What did the additional noise monitoring programs reveal?

21 A. Additional noise monitoring was conducted on June 4, 2002. The results of that  
22 monitoring revealed slightly higher background noise levels than those measured

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 during the November 28, 2001 program presented in the Application, likely due to  
2 natural sounds such as insect and bird noise.

3 Q. Regarding daytime ambient levels at Arrow Electronics, Austin Travel and  
4 Extended Stay, what are the average ambient daytime noise levels TRC measured  
5 there, based on all the noise data collected?

6 A. The average  $L_{90}$  daytime levels, respectively, are 48 dBA, 52 dBA and 53 dBA.

7 Q. Finally, with respect to Mr. Wood's testimony, does the Applicant expect at this  
8 time that construction of the proposed facility will involve pile driving?

9 A. No.

10 Q. Would the Applicant be willing to accept a permit restriction precluding the use  
11 of such equipment during facility construction?

12 A. Yes.

13 Q. Turning to the testimony of Beth Constantino, Ms. Constantino states that the  
14 noise emitted from the proposed facility "will clearly make it significantly less  
15 appealing to sit outside on the [Arrow] terrace, or anywhere else for that matter."

16 What is your response to this statement?

17 A. First, Ms. Constantino's testimony addresses the noise from the commissioning of  
18 the steam plant. Much of the startup activities may not even occur during the  
19 period when Arrow's picnic tables are used, so it may be irrelevant. Moreover, if  
20 another type of facility (office or industrial building) was built on the lot there  
21 could be similar, temporary construction noise for a period as well.

22 Regarding noise during project operation, measured background levels  
23 near the Arrow building during the day were 44 dBA based on data presented in

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 the Application, which were collected during a cold weather month. Additional  
2 background monitoring collected in June 2002, when insect and other natural  
3 sounds are more prevalent, resulted in higher noise levels. Warm weather months  
4 are when the Arrow picnic would more likely be used. As testified earlier, the  
5 average (cold and warm weather months) background level near the Arrow  
6 building was 48 dBA. The calculated project noise level, based on the  
7 Application, is 48 dBA at Arrow. Moreover, this level is for a point near the  
8 property line. The Arrow picnic area, however, is on the south side of the  
9 building. As such, both project and background noise would be similarly  
10 shielded, resulting in lower actual noise levels.

11 Note that relaxed speech at a distance of one meter is not affected until  
12 background sound levels reach 54-56 dBA, which is greater than the modeled  
13 level.

14 Q. Mr. Alexander, have you had an opportunity to review the lot line noise  
15 performance standards contained in the Town of Huntington Zoning Code?

16 A. Yes.

17 Q. In view of your experience and research, how do these performance standards  
18 compare to the requirements of other localities?

19 A. The requirements of the performance standards in the Huntington Zoning Code  
20 are relatively unusual in that they are specified at the emitter's property line and  
21 not the receiver's property line. The vast majority of regulations, including those  
22 of many municipalities on Long Island, provide for different allowable emission  
23 levels depending upon the character of the receiving property where there may be

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 impact. Typically, the allowable level at a commercial receiving property is  
2 substantially higher than those for a residential receiver, in recognition of the  
3 higher sensitivity to noise in residential areas. The Huntington requirements,  
4 while strict, though not inappropriate for residential receivers, is exceptionally  
5 strict for a commercial receiving property. A review of regulations for  
6 municipalities in Long Island reveal that many are only "nuisance" codes, but that  
7 those with specific allowable sound levels, generally allow for much higher levels  
8 at commercial receiving properties. A sample is provided below. All codes were  
9 reviewed at the website of General Code Publishers of Rochester, New York.  
10 ([www.generalcode.com](http://www.generalcode.com)).

- 11 • Brookhaven. Industrial emitter to commercial receiver is 65 dB(A), 24  
12 hours per day (Code of the Town of Brookhaven, New York, v. 69 para.  
13 50-12 through 50-13).
- 14 • Great Neck. 65 dB(A) at commercial receiving properties 24 hours per  
15 day (Code of the Village of Great Neck, New York, v. 82 ch. 130-2, para.  
16 N)
- 17 • Easthampton. 70 dB(A) daytime, 55dB(A) nighttime at receiving  
18 commercial property (Code of the Town of Easthampton, New York, v. 8  
19 ch. 185-3, para. B)
- 20 • Glen Cove. 70 dB(A) at commercial receiving properties 24 hours a day  
21 (Charter and Code of the City of Glen Cove, New York, v. 19 ch. 196-12)
- 22 • Sag Harbor. 70 dB(A) daytime 55 dB(A) nighttime at commercial  
23 receivers (Code of the Village of Sag Harbor, New York, v. 115 ch. 33.3,  
24 para. B)
- 25 • Westhampton Beach. 65 dB(A) day 55 dB(A) nighttime for commercial  
26 receivers (Code of the Village of Westhampton Beach, New York, v.57  
27 ch. 110-11)
- 28
- 29
- 30
- 31
- 32
- 33
- 34

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1           This is the most common and sensible arrangement in community noise  
2 regulations, that is, the allowable sound levels are a function of the receiving  
3 property or zone. Or in other words, the allowable sound levels are a function of  
4 their potential for impact. A review of a broader range of 30 standards for  
5 communities outside of Long Island indicates that the mode for allowable daytime  
6 and nighttime sound levels is 65 dB(A) at commercial receiving properties. All  
7 New Jersey municipalities with which I am familiar have similar ordinances  
8 (Bayonne, Boonton, Brant Beach, Brigantine, County Wide, Cranford, Denville,  
9 Edison, Egg Harbor, Fort Lee, Franklin, Garwood, Glen Rock, Hanover, Holmdel,  
10 Lavallette, Long Beach, Lower Manalapan, Madison, Manchester, Mansfield,  
11 Margate, Milltown, Mine Hill, Monroe, Montville, Mount Olive, Mountain Side,  
12 New Brunswick, North Caldwell, Old Bridge, Parsippany, Phillipsburgh,  
13 Pohatcong, Rahway, Readington, Riverdale, Rockaway, Roselle Park,  
14 Sayereville, South Amboy, South Brunswick, South River, Springfield, Stafford,  
15 Teaneck, Tenaflly, Ventnor, Ventnor City). Exhibit \_\_ (AAS-4). The New Jersey  
16 model noise ordinance, promulgated by the New Jersey Department of  
17 Environmental Protection, is similar. Exhibit \_\_ (AAS-5).

18           Moreover, in completing a survey of regulations some years ago for a  
19 project for the European Telecommunications Standards Institute, I found that the  
20 common form of community regulation was one that specified acceptable sound  
21 levels by the receiving property. For commercial properties, the acceptable level  
22 was typically 60 to 65 dB(A). While there are regulations which specify  
23 allowable sound levels at the emitter's property, and while there are regulations

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 that still specify sound levels in the old octave bands, these are certainly the  
2 exception and not the rule.

3 Q. Mr. Agresti, do you have any information regarding the relative restrictiveness of  
4 the Town's lot line standards?

5 A. Yes. As noted in the Application, a survey of noise standards applicable in other  
6 Article X proceedings shows that the Town of Huntington's standards are, in fact,  
7 stricter than any other jurisdiction where an Article X facility has been proposed  
8 to date. As among Athens, New York City, Rockland County, and the Towns of  
9 Brookhaven and Smithtown, only New York City, like Huntington, has octave  
10 band standards, although these (approximately 70 dBA for commercial and  
11 industrial lot lines) are not nearly as stringent as the Huntington standards  
12 (approximately 45 dBA on average). Application at 4-124 n.12.

13 Q. Mr. Alexander, do the Huntington lot line standards represent current thinking in  
14 the field of acoustics?

15 A. Two issues mark the Huntington standards as out of date with current thinking.  
16 First and foremost, the limits are provided in old octave bands, which have not  
17 been in use for more than 35 years. It is unlikely that there are instruments still  
18 working today which can directly measure these levels, and if one did exist, it  
19 would likely fail to meet the other aspects of current sound level meters. In itself,  
20 this is of minor issue, since ANSI does provide for a conversion from the old  
21 specification to the new. Of more importance is the significance of still using  
22 these old specifications. Either the Town has not updated its regulation for almost  
23 40 years, or it may have copied another municipality's regulation using these

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 outdated specifications, after the changeover to modern octave bands. (For  
2 example, the Towns of Port Jefferson and Oyster Bay have similarly outdated  
3 codes.)

4 Typical community noise regulations result from a review of planning and  
5 zoning for a town, and the completion of a noise survey to evaluate existing  
6 conditions. Based upon this work, and a review of comparable communities and  
7 regulations, a noise regulation is developed that is protective of the aural  
8 environment and enforceable, without being unduly restrictive and a burden to  
9 development. The overwhelming majority of regulations in suburban  
10 communities and at the State level, specify acceptable sound levels at the  
11 potentially impacted receiving property, and not at the emitter's property line.

12 Q. Mr. Agresti, what is your view about the conformance of other like uses to the  
13 Huntington lot line standards?

14 A. I cannot comment regarding compliance generally, although my view is that  
15 violations are likely to be widespread, considering the exceedingly strict nature of  
16 these standards. For example, existing noise levels at the proposed site already  
17 exceed the levels specified in the lot line standard, even though it is essentially  
18 vacant, due simply to background noise levels, principally other industrial uses,  
19 traffic and existing HVAC units. The same would likely be true for other nearby  
20 properties such as Arrow and Marchon Eyewear, which contain these HVAC  
21 units.

22 We did specifically collect lot line data for one property for comparison  
23 purposes, the Covanta Bi-Town Resource Recovery Facility, located on Town

Case 01-F-0761

AGRESTI/ALEXANDER/SMITH

1 Line Road in Huntington. The Covanta facility is waste to energy facility, with a  
2 capacity of approximately 25 MW. As indicated by our review of that data, the  
3 noise generated by the Covanta facility far exceeds the Town of Huntington's lot  
4 line standards – by up to 16 dB at the 500 Hz octave band, at the northern  
5 property line. All octave bands are exceeded, with the exception of the 63 Hz  
6 band.

7 Q. Are you aware of the Town of Huntington's enforcement history with respect to  
8 the lot line noise standards?

9 A. I am informed that counsel has identified no known instance in which the Town  
10 has sought to enforce these standards against an existing use.

11 Q. Does this conclude the panel's testimony?

12 A. Yes.



1 MR. LANG: Your Honors, can I ask a very  
2 quick procedural question?

3 They have direct testimony. Has that  
4 been moved into the record?

5 JUDGE GARLIN: The direct testimony that  
6 was in one of the appendices to the application is  
7 considered part of Exhibit 1.

8 MR. LANG: So it's not testimony, it's  
9 just an exhibit?

10 JUDGE GARLIN: Well, the direct  
11 testimony, to my recollection, all pieces of it  
12 consists simply of the person identifying which  
13 section of the application that that person is  
14 responsible for developing; is that correct?

15 MR. RATZKIN: And their credentials.

16 JUDGE GARLIN: And their credentials.

17 MR. LANG: Just asking.

18 JUDGE GARLIN: Yes. That's all.

19 MR. RATZKIN: Your Honors, at this time  
20 we would also like to mark the exhibits for  
21 identification.

22 JUDGE GARLIN: Okay.

23 Are you not going to submit the  
24 supplemental --

1 MR. RATZKIN: I'm sorry. I thought I  
2 stated both dates of the two.

3 JUDGE GARLIN: I'm sorry.

4 The supplemental rebuttal testimony  
5 should also be copied into the record as if given  
6 here today.

7 JUDGE CASUTTO: Following the rebuttal  
8 testimony.

9 MR. LANG: Actually, I'm not sure it  
10 should be. If the Town of Huntington isn't going to  
11 be sponsoring that witness, do we need the rebuttal  
12 to that witness' testimony?

13 JUDGE GARLIN: I leave it up to the  
14 applicant as to whether they place it in the record  
15 or not.

16 MR. RATZKIN: We feel it does complete  
17 our record, and we would like to have it in.

18 MR. LANG: I don't think it's necessary,  
19 but I won't object.

20 MR. RATZKIN: I suppose the way to think  
21 about it is, if in this case the reason that  
22 supplemental testimony came in later is because  
23 Mr. Lee late filed his prefiled.

24 So if he had filed at the same time as

1 all the other direct intervenors, on June 28th, we  
2 would have had that within the scope of our original  
3 July 24th testimony.

4 JUDGE GARLIN: I think, again, I'm going  
5 to allow if applicant to decide.

6 I think there are some things in the  
7 supplemental testimony that the applicant might  
8 consider as supporting the stipulations.

9 MR. LANG: Okay.

10 (Continued on following page.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

ReporterLink Systems, Inc.

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

KEYSPAN ENERGY DEVELOPMENT CORPORATION

SUPPLEMENTAL REBUTTAL TESTIMONY  
(IN RESPONSE TO TESTIMONY OF VAN M. LEE)  
OF  
ANTHONY C. AGRESTI  
MARTIN ALEXANDER  
JEFFREY L. SMITH

IN SUPPORT OF SECTION 11.0 OF THE  
SPAGNOLI ROAD ENERGY CENTER PROJECT  
ARTICLE X APPLICATION  
Case 01-F-0761

July 30, 2002

1 Q. Please state your names and business addresses.

2 A. My name is Anthony C. Agresti, and my business address is 1200 Wall Street  
3 West, Lyndhurst, New Jersey.

4 A. My name is Martin Alexander, and my business address is 63 Passaic Avenue,  
5 Summit, New Jersey.

6 A. My name is Jeffrey L. Smith, and my business address is 201 Old Country Road,  
7 Melville, New York.

8 Q. Mr. Agresti, have you previously provided testimony in these proceedings?

9 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
10 X Application that was filed on January 28, 2002. My educational background  
11 and professional qualifications are set forth in that testimony.

12 Q. Mr. Alexander, have you previously provided testimony in these proceedings?

13 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
14 X Application that was filed on July 24, 2002. My educational background and  
15 professional qualifications are set forth in that testimony.

16 Q. Mr. Smith, have you previously provided testimony in these proceedings?

17 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
18 X Application that was filed on January 28, 2002. My educational background  
19 and professional qualifications are set forth in that testimony.

20 Q. To the panel: have you reviewed the testimony of Van Lee submitted on July 25,  
21 2002?

22 A. Yes.

## AGRESTI/ALEXANDER/SMITH

1 Q. Dr. Lee asserts (p. 3) that there is a history in New York of applying local noise  
2 ordinances in the absence of specific state regulations. In this regard, he asserts  
3 that electric power generation projects in New York City must meet the City's  
4 CEQR and local law requirements. Do you have any comment on these  
5 statements?

6 A. Yes. We believe that Dr. Lee's statement contains a number of errors. We are  
7 informed by counsel that, under Article X, electric power projects in New York  
8 City (or any other locality within New York State) are not required to adhere to  
9 local laws, concerning noise or any other subject, where the local law is shown to  
10 be unreasonably restrictive. Thus, the same analysis under PSL § 168 would  
11 apply within New York City, as it does in the present case. (In fact, as testified to  
12 earlier, New York City's noise standards, unlike the Huntington standards,  
13 differentiate residential receptors from commercial and industrial receptors.) As  
14 Dr. Lee testified, in the Ravenswood case, the applicant *agreed*, in stipulations, to  
15 comply with the City's noise code. Lee Testimony, Exhibit B. This does not  
16 mean that it would have been required to comply if an unreasonably restrictive  
17 showing had been made.

18 Q. Mr. Alexander, do you have any comment on Van Lee's suggestion (p. 4) that  
19 EPA recommended noise limits are consistent with or support the Town's 45  
20 dB(A) nighttime lot line standards?

21 A. Yes. What he is referring to is the March 1974 Document "Information on Levels  
22 of Environmental Noise Requisite to Protect Public Health and Welfare with an  
23 Adequate Margin of Safety" (550/9-74-004), prepared by EPA Office of Noise

1 Abatement and Control, popularly known as the "Levels Document." Exhibit \_\_  
2 (AAS-6) (excerpts).<sup>1</sup> This document is an often quoted and often misinterpreted  
3 reference source. First and foremost, as stated on page 4 of the "Levels  
4 Document," "The levels [provided in the document] are not to be construed as  
5 standards as they do not take into account *cost or feasibility*." (my emphasis).

6 The 55 dB(A) daytime and 45 dB(A) nighttime  $L_{eq}$  values cited by Dr. Lee  
7 were developed based upon several factors. A thorough reading of the "Levels  
8 Document" makes it clear that the consideration is for residential uses where  
9 sleeping at night and conversation indoors and outdoors are the bases of the  
10 identified levels. An indoor level of 45 dB(A) is necessary to permit normal  
11 conversation. Assuming a 15 decibel isolation for normal home construction with  
12 windows partially open necessitates an outdoor level of 60 dB(A). A five decibel  
13 "margin of safety then yields daytime levels of 55 dB(A)." The indoor nighttime  
14 level is identified as 32 dB(A), to "protect against sleep interference." With the  
15 same adjustment of 15 decibels, we obtain a nighttime level of approximately 45  
16 dB(A). In all cases, it is residential uses being considered.

17 Q. Does the EPA "Levels Document" separately consider commercial receptors?

18 A. Yes. Commercial areas are considered, and included in Table 4 of the document.  
19 Exhibit \_\_ (AAS-6) at 29. The only level cited is 70 dB(A) to protect against  
20 hearing loss. Commercial areas include "retail and financial service facilities,  
21 offices, and miscellaneous commercial services." No level for activity

---

<sup>1</sup> I note that although this document is indicated as an attachment to Dr. Lee's testimony (Exhibit "B"), it does not appear in the material.

1 interference is identified. Exhibit \_\_ (AAS-6) at 28. Suggestions for activity  
2 interference in commercial spaces are provided in an Appendix. Here indoor  
3 levels are cited from numerous sources which range from 35 to 65 dB(A),  
4 typically 45 to 50 dB(A). Assuming the same 15 decibel isolation from  
5 construction, a conservative estimate for office buildings which often have more  
6 substantial construction than wood frame homes, and whose windows are  
7 typically closed or sealed, would yield an outdoor sound level of 60 to 65 dB(A).  
8 Therefore, if the EPA document was to be used as a reference for what would be  
9 reasonable sound levels at a receiving commercial property, hence the Applicant's  
10 property line, the result would be 60 dB(A) or more, a level clearly met by the  
11 modeled facility.

12 Q. Does the EPA guidance separately consider educational uses as receptors?

13 A. Yes. For educational uses, an indoor level of 45 dB(A) is identified as necessary  
14 to ensure there is no interference with activities, principally speech  
15 communication. This covers areas including "classrooms, auditoriums, schools in  
16 general, and those grounds not used for athletics." Exhibit \_\_ (AAS-6) at 30.  
17 This again translates to 55 dB(A) outdoor levels (including the 5 dB margin of  
18 safety). These would apply during times when there is teaching activity and  
19 where the teaching activity is carried out. The average sound level for outdoor  
20 recreation areas at schools is identified in the document of no more than 70  
21 dB(A).

22 Q. Do you have any information about how the EPA recommended levels have been  
23 applied in practice?



## AGRESTI/ALEXANDER/SMITH

1 A. Yes. It has been recognized that while the 55 dB(A) day-night levels identified  
2 by EPA are an admirable goal, a more realistic level of 65 dB(A) should be  
3 applied where specific regulations are involved. Hence the Federal Highway  
4 Administration, Department of Housing and Urban Development, and the Federal  
5 Aviation Authority use a day night sound level of 65 dB(A) in their requirements  
6 for project funding and/or evaluating the potential for impact.

7 Q. What is your conclusion about what EPA's suggested guidance tells us about the  
8 Huntington standards?

9 A. If a case is to be made based upon the EPA document which Dr. Lee cites, it is  
10 that the Huntington lot line noise standards are excessively restrictive where the  
11 adjoining properties to an operation are not residential, and that more reasonable  
12 levels for these receivers would be 55 to 60 dB(A) or higher.

13 Q. Mr. Agresti, Dr. Lee claims (p. 4) that the 6 NYCRR 360.1.14 (p) noise limit of  
14 47 dB(A) at the property line for waste management facilities including power  
15 generating resource recovery facilities is consistent with the Town of Huntington  
16 noise standard. He states that this limit was set for rural areas and that the  
17 northern part of the SUNY campus might be characterized as such. Do you have  
18 any opinion on this?

19 A. The refined analyses that we conducted reveal that noise generated by the project  
20 will be well below this level at the usable SUNY property nearest the project site.  
21 Exhibit \_\_ (AAS-7) Further, the calculated noise level anywhere on the useable  
22 SUNY property would also be below this level. Id. I might add that, as testified  
23 previously, the Covanta Resource recovery facility in the Town of Huntington

## AGRESTI/ALEXANDER/SMITH

1 generates noise levels well in excess of 47 dB(A) (56 dB(A)) at its northern  
2 property line.

3 Q. Dr. Lee states (p. 4) that the stipulations between the agencies and the Applicant  
4 do not adequately address the noise impacts at various receptors because the  
5 Town emphasized that sensitive receptors should include residential, recreational,  
6 educational, health related facilities and hospitals.

7 A. The analysis included the nearest residential uses, educational uses (SUNY), and  
8 recreational areas (Bethpage State Park). No hospitals or health related facilities  
9 were identified in the immediate area other than the SUNY infirmary, and an  
10 analysis has already been conducted for the SUNY campus. As such, I believe all  
11 these concerns were addressed and thus I do not completely understand Dr. Lee's  
12 statement.

13 Q. Dr. Lee states that the SUNY campus was not adequately addressed because the  
14 CNR analysis was not applied at the point on the SUNY campus with the greatest  
15 potential for impact or at the nearest property line. Did your refined analysis  
16 evaluate additional locations on SUNY property?

17 A. The existing location with greatest potential for impact is the nearest occupied  
18 building on SUNY property. This is the receptor location used in the Application  
19 and further evaluated through refined modeling. Exhibit \_\_ (AAS-2). The  
20 resulting CNR rating at this location is between a "B" and a "C". The analysis  
21 assumed that this was a dormitory, and so the nighttime ambient was used for the  
22 background correction in the CNR analysis, yielding a conservative result. In  
23 fact, as noted in our prior testimony, the structure is an administrative building.

## AGRESTI/ALEXANDER/SMITH

1 Additional analyses were done for areas on the SUNY property not  
2 presently developed, but closer to the Applicant project site. These locations  
3 yielded a range of sound levels and results from a CNR analysis. Based on our  
4 understanding of the future anticipated uses of the area, we first analyzed the  
5 potential impact based upon daytime uses only (e.g., teaching spaces). For  
6 daytime conditions the background correction (Exhibit \_\_ (AAS-7)) is clearly a  
7 "0", and the resulting CNR ratings fall between a "B" and a "C" for all locations  
8 anywhere on the SUNY property.

9 Then, under very conservative assumptions about future usage, since no  
10 nighttime use is foreseen, we nonetheless calculated using the nighttime  
11 adjustments and obtained CNR ratings falling between "C" and D". Again, the  
12 nighttime assumption is overly conservative since these areas are expected to be  
13 developed, if at all, as classroom space, recreational space (ballfields and track  
14 fields), administration use, or for industrial use, and not for use as a residence  
15 hall. In fact, pursuant to an RFP issued by SUNY, these areas were quite recently  
16 under consideration for power plant development. Exhibit \_\_ (AAS-8).

17 The highest noise level calculated anywhere on the SUNY property was  
18 approximately 43 dB(A), which is comparable to existing ambient L<sub>90</sub> levels at  
19 the developed portion of the property (44 dB(A) during the day and 40 dB(A)  
20 late at night). We also note that even the refined analysis assumed that all terrain  
21 consisted of acoustically reflective surfaces with no vegetation, as opposed to the  
22 thick vegetation found in the northern portion of the property closest to the project  
23 site.

## AGRESTI/ALEXANDER/SMITH

1 Q. To the panel: Dr. Lee claims (p. 6) that the application of the CNR method  
2 should not be restricted to residential areas or sleeping areas, and that he has  
3 calculated a CNR rating of "E" for locations in the northern part of the SUNY  
4 campus.

5 A. It appears that Dr. Lee may have used a receptor location at the edge of the  
6 transmission berm, which is at a much higher elevation (approximately 140 feet)  
7 than the usable part of the campus, which is at an elevation of approximately 100  
8 feet. The nature of the transmission line berm is that it is essentially a right-of-  
9 way plateau, a portion of which lies in SUNY's property. However, the terrain  
10 gradient is extremely steep at the edge of the plateau, dropping very quickly from  
11 140 feet to 100 feet. Considering the dedicated right of way, the presence of the  
12 transmission towers and lines, the steep climb to access the plateau, and its  
13 limited area, this portion of the SUNY property is accessible only with difficulty  
14 and is considered unusable for any future campus development. The effective  
15 border of the SUNY property begins at the south side of the berm.

16 Q. Mr. Smith, Dr. Lee states that the Applicant did not address vibration impacts  
17 from heavy construction activities, specifically with respect to Town Code § 198-  
18 89(A). Is that correct?

19 A. No. Page 4-80 of the Application specifically states that vibration at the property  
20 line will not exceed this limit. Moreover, this statement in the Application  
21 assumed, for purposes of conservatism, that pile driving would occur during  
22 construction. In fact, we have since determined that pile driving will be  
23 unnecessary. As indicated in our prior testimony, the Applicant is willing to

## AGRESTI/ALEXANDER/SMITH

1 accept a certificate condition to that effect. As a result, vibration impact from  
2 construction of the proposed facility is expected to be no different than from the  
3 construction of any other commercial building that would involve the use of  
4 cranes and grading equipment.

5 Q. Mr. Agresti, Dr. Lee testifies (p. 6-7) that the Applicant did not include a detailed  
6 accounting of facility design parameters and additional noise attenuation or  
7 mitigation measures, and that doing so would make compliance with the Town of  
8 Huntington noise code more feasible.

9 A. The analysis conducted for the Application was extremely conservative, in that it  
10 did not include all the barrier attenuation which will exist at the site. As testified  
11 to previously, this was done in order to demonstrate that even with this extremely  
12 conservative type of analysis, project noise levels would comply with the CNR  
13 rating of "C" or better at the sensitive receptor locations, and that a more refined  
14 analysis would yield lower levels, and subsequently better results. However,  
15 again, as testified earlier, I did revisit the analysis and prepared a much more  
16 detailed noise model of the project, one which accounted for all the barrier effects  
17 provided by onsite structures, including the turbine building and the transformer  
18 fire walls. The analysis also included a fourth fire wall for the transformer.  
19 Further, I accounted for the fact that the condensate pumps will be enclosed. As  
20 an additional step, I modeled the facility with a "stealth" air cooled condenser,  
21 which is the lowest noise level unit available. Lastly, I added in the directivity  
22 effect for stack noise, in an attempt to further reduce calculated noise levels. At  
23 this point, all barrier effects have been included, virtually everything that can be

## AGRESTI/ALEXANDER/SMITH

1 enclosed is within substantial enclosures, directivity effects have been added in as  
2 appropriate, and the lowest noise air cooled condenser available has been  
3 evaluated.

4 Q. And what were the results of your analysis?

5 A. As expected, calculated off-site noise levels were shown to be lower. However, it  
6 was still not possible to demonstrate compliance with the Town of Huntington  
7 noise standard at all property line locations, even with the extensive noise control  
8 measures, including the "stealth" air cooled condenser.

9 Q. What about the berms along Spagnoli Road?

10 A. These berms do not exist at this time and would be future landscaping berms. The  
11 Applicant estimates these will only be approximately five feet in height, which  
12 would have virtually no effect on off-site noise levels.

13 A. Dr. Lee also states (p. 8) that in his calculations, he added 10 to 12 foot high noise  
14 walls on the border with SUNY, and that his results indicated that this might  
15 achieve compliance with the Town of Huntington noise standard. Did you  
16 perform any such analysis?

17 A. The project site's property line is at a lower elevation (generally by about 10 to 12  
18 feet) than the top of the berm and is on the north side of the berm. Application at  
19 Figure 7-11a. Accordingly, a 10 to 12 foot wall or fence would not provide any  
20 further noise reductions, since in many instances it would not exceed the  
21 maximum berm height. Also, constructing a wall on such a steep grade would be  
22 extremely difficult, and could actually create a safety hazard, as a "V" shaped  
23 channel would be formed between any wall and the top of the berm.

## AGRESTI/ALEXANDER/SMITH

1 Q. Dr. Lee states in his testimony that his own independent calculations to verify the  
2 accuracy of your analysis showed very close agreement. Do you have any  
3 opinion regarding this close agreement?

4 A. The fact that the sound levels Dr. Lee calculated compare so well with those I  
5 calculated shows that the calculation method employed should yield good results  
6 based on the input data. I did note some errors in his Exhibit C where he  
7 compared TRC calculated sound levels against his results. In particular, the 250  
8 Hz sound level for Ruland Road is missing and subsequent octave band levels are  
9 therefore shifted by one column. The TRC property line calculated sound levels  
10 (P-2, P-9, P-12 and P-14) are not presented in the correct columns. TRC  
11 calculated sound levels were presented in the Application for octave band  
12 frequencies from 63 Hz to 8000 Hz to coincide with the Town of Huntington  
13 noise standard. Dr. Lee transposed these levels incorrectly in the 31 HZ to 4000  
14 Hz columns in his Exhibit C. If presented properly, the property line octave band  
15 sound levels would show excellent correlation.

16 Q. Does this conclude the panel's testimony?

17 A. Yes.

1 MR. RATZKIN: Your Honors, at this time,  
2 I would like to mark the exhibits for identification.

3 Do any of you have any corrections or  
4 modifications you wish to make to the exhibits and  
5 the testimony?

6 MR. ALEXANDER: No.

7 MR. AGRESTI: No.

8 MR. SMITH: No.

9 JUDGE GARLIN: What I'm going to do is,  
10 Exhibits AAS-1 through AAS-5 will be marked for  
11 identification as Exhibit 25.

12 (Documents marked Exhibit 25 for  
13 identification.)

14 JUDGE GARLIN: Then Exhibits AAS-6  
15 through AAS-8 will you marked for identification as  
16 Exhibit 26.

17 (Documents marked Exhibit 26 for  
18 identification.)

19 MR. RATZKIN: Thank you, your Honor.

20 The witnesses are available for  
21 cross-examination.

22 MR. LANG: No Cross.

23 JUDGE GARLIN: Go ahead, Ms. Sinding.

24 MS. SINDING: Just a preliminary matter.



1 CROSS-EXAMINATION

2 BY MS. SINDING:

3 MS. SINDING: Mr. Smith, it's correct  
4 that you are the Project Manager on behalf of KeySpan  
5 for the Spagnoli Road Energy Center; is that correct?

6 MR. SMITH: That's correct.

7 MS. SINDING: So do you have any  
8 particular training in noise impact assessments or  
9 analysis?

10 MR. SMITH: Nothing more than my  
11 engineering degree.

12 MS. SINDING: Mr. Smith, it's correct,  
13 isn't it, that KeySpan has entered into a set of  
14 stipulations that include certain topic agreements  
15 with the Town of Huntington and the County of  
16 Suffolk?

17 MR. SMITH: That's correct.

18 MS. SINDING: One of those agreements is  
19 related to land use, local laws and decommissioning;  
20 is that right?

21 MR. SMITH: Yes.

22 MS. SINDING: And another one is related  
23 to noise, right?

24 MR. SMITH: Yes.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MS. SINDING: And is it also correct  
2 that the topic agreement related to land use  
3 provides -- and this is on page 23 of the document --

4 Actually, I'm not sure if this document  
5 has been entered into evidence yet.

6 JUDGE GARLIN: Which one is that?

7 MS. SINDING: That's the joint  
8 stipulation.

9 JUDGE CASUTTO: They have not been  
10 marked for identification.

11 MS. SINDING: Okay. Then at this time I  
12 would ask that it be marked as an exhibit.

13 JUDGE GARLIN: The joint stipulations  
14 will be marked for identification as Exhibit 27.

15 (Documents marked Exhibit 27 for  
16 identification.)

17 (Pause.)

18 JUDGE CASUTTO: Please continue.

19 MS. SINDING: I was referring to the  
20 land use topic agreement.

21 Do you have a copy of the document in  
22 front of you, Mr. Smith?

23 MR. SMITH: What document are you  
24 referring to?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MS. SINDING: I'm referring generally to  
2 the joint stipulations, with the attached topic  
3 agreement.

4 MR. SMITH: Dated?

5 MS. SINDING: Dated August 12, 2002.

6 MR. SMITH: I have it.

7 MS. SINDING: Okay. And on page 23,  
8 which is within the land use local laws and  
9 decommissioning topic agreement, item Roman numeral  
10 IIE provides that the certificate holder, which I  
11 understand is KeySpan, will erect an eight to  
12 ten-foot high wall, constructed of a material with a  
13 minimum sound transmission loss of ten to fifteen  
14 decibels along a portion of the western boundary of  
15 its property.

16 Is that correct?

17 MR. SMITH: That's what it reads.

18 MS. SINDING: Okay. And this is to the  
19 panel.

20 Can you explain to me exactly what it  
21 means to say that a wall will be constructed with a  
22 minimum sound transmission loss of ten to fifteen  
23 decibels?

24 MR. AGRESTI: Transmission loss refers

1 to the amount of reduction material can provide.

2 In this case, the wall itself, in a test  
3 room, for example, would provide a ten to  
4 fifteen-decibel reduction from one room to another.

5 MS. SINDING: So it's sort of a measure  
6 of how soundproof a wall will make --if it were in a  
7 room, would make a room, for example?

8 MR. AGRESTI: Generally.

9 MS. SINDING: And does it mean that,  
10 conversely, a maximum of ten to fifteen decibels can  
11 be transmitted through that wall?

12 MR. AGRESTI: No.

13 MS. SINDING: I guess I don't fully  
14 understand.

15 MR. SMITH: I believe it says a loss of  
16 ten to fifteen DB in the write-up.

17 MS. SINDING: So, it's a loss from what,  
18 the total sound being generated on one side of the  
19 wall?

20 MR. ALEXANDER: The transmission loss is  
21 a measure of the reduction of sound traveling through  
22 the wall.

23 So if we erected that wall between two  
24 spaces, and there was a certain amount of sound power

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 incident on the wall, on one side the amount of sound  
2 power traveling through the wall would be ten to  
3 fifteen DB less on the other side.

4 JUDGE CASUTTO: So for the seventy  
5 decibels on one side it would be --

6 MR. ALEXANDER: Roughly fifty-five to  
7 sixty potentially on the another side.

8 There are other issues. Once the sound  
9 gets to the other side, that can affect the resulting  
10 sound on the other side.

11 But it's a measure of the wall, the  
12 material performance in reducing sound.

13 JUDGE GARLIN: If I could interrupt you  
14 for about thirty seconds.

15 I just want to go to my office and get  
16 my copy of the stipulation.

17 MS. SINDING: Sure.

18 (Pause.)

19 JUDGE CASUTTO: Let's go back on the  
20 record.

21 JUDGE GARLIN: Thank you for your  
22 indulgence.

23 MS. SINDING: All right. And then also,  
24 in the land use topic agreement, and it's also

1 provided in the noise topic agreement, at page 30,  
2 it's 2F of the land use topic agreement, provides  
3 that the certificate holder shall install a  
4 low-noise, air-cooled condenser, with stealth fan  
5 blades; is that right?

6 MR. SMITH: Yes.

7 MS. SINDING: And what I don't  
8 understand is whether there are two elements to that,  
9 or whether there is one.

10 Is it going to be a low-noise,  
11 air-cooled condenser by virtue of installation of the  
12 stealth fan blades, or will the air-cooled condenser  
13 itself, aside from the fan blades, also be of a  
14 reduced noise model?

15 MR. SMITH: I believe our testimony  
16 identifies that the air-cooled condenser will have a  
17 stealth of fan blade, which lowers the DB, the noise  
18 level, of the air-cooled condenser, and that is the  
19 air-cooled condenser that we are referring to.

20 MS. SINDING: Okay. It's the same  
21 air-cooled condenser, but with the stealth blade  
22 technology that you discussed in your rebuttal  
23 testimony?

24 MR. SMITH: Yes.

1 MS. SINDING: I also understand from the  
2 topic agreement on noise, item Roman numeral IIA, as  
3 well as your rebuttal testimony at page 16, lines 10  
4 through 12, that KeySpan has committed not to using  
5 pile drivers; is that correct?

6 MR. SMITH: That's correct.

7 MS. SINDING: There are certain other  
8 items listed in the noise topic agreement on page 30,  
9 under Roman numeral II related to noise.

10 B relates to certain limitations on  
11 construction activities.

12 C relates to KeySpan's compliance with  
13 Federal noise level requirements under OSHA.

14 D provides that a temporary vent  
15 silencer will be installed on the steam blow vent  
16 during pipe cleanout.

17 E provides that safety valves shall  
18 incorporate silencers.

19 F represents that the project will  
20 achieve a modified composite noise rating of C at the  
21 seven sensitive noise receptors that were analyzed in  
22 the application.

23 And H relates to an operational noise  
24 evaluation report that is to be submitted within six

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 months of the startup.

2                   Other than these items, is there  
3 anything -- and the wall that is referenced in the  
4 land use topic agreement, are you aware of anything  
5 else in the stipulations that would relate to the  
6 issue of noise?

7                   MR. SMITH: There may be, but I'm not  
8 familiar enough with the document. I haven't read  
9 the latest update.

10                  MS. SINDING: In announcing the  
11 stipulations on Monday, Ms. Liccione, who is counsel  
12 to the Town of Huntington, represented that KeySpan  
13 was going to be able to meet the Town's noise  
14 performance standard at two of the site's lot lines;  
15 is that correct? Do you recall that?

16                  MR. SMITH: I don't think any of us were  
17 here on Monday.

18                  MS. SINDING: Do you know whether it's,  
19 in fact, true that KeySpan is committing to meet the  
20 noise performance standard at two of the lot lines?

21                  MR. SMITH: I don't believe that we made  
22 any commitment along those lines.

23                  JUDGE CASUTTO: My recollection is that  
24 as Ms. Liccione described it, that there were some

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373           <>           (845) 398-8948



1 qualifiers on that characteristic of not absolutely  
2 meeting the standard, but something to the effect  
3 that it will come as close as possible.

4                   There was some qualifying language in  
5 there, to my recollection.

6                   MS. SINDING: We will have to review the  
7 transcript.

8                   JUDGE GARLIN: My notes also say that  
9 along Spagnoli Road, that side of the lot, that the  
10 ambient noise level already exceeds the Town  
11 requirement.

12                   MS. SINDING: I also recall that.

13                   And I believe she also said that along  
14 the western property line, it was expected that  
15 KeySpan would be able to attain a noise level of  
16 forty-seven to forty-eight decibels.

17                   Mr. Smith, or any other member of the  
18 panel, are you familiar with that commitment?

19                   MR. SMITH: I'm not familiar with that  
20 commitment at all.

21                   JUDGE GARLIN: I'll just note for the  
22 record that my notes say the same thing.

23                   MS. SINDING: Okay. This, again, is to  
24 the panel.

1           Isn't it correct that in your rebuttal  
2 testimony, and the page reference is page 7, line 23,  
3 to page 8, line 4, you stated that, in fact, KeySpan  
4 could not meet the property line standard, even if it  
5 uses enhanced noise control measures.

6           And I believe included in those enhanced  
7 noise control measures were the stealth fan blades  
8 that we were speaking of earlier.

9           MR. AGRESTI: That is correct.

10          MS. SINDING: And does that remain your  
11 testimony?

12          MR. SMITH: Yes.

13          MR. ALEXANDER: Yes.

14          MR. AGRESTI: Yes.

15          MS. SINDING: So you remain of the  
16 opinion that even with the stealth fan blades on the  
17 air-cooled condenser, the proposed facility will not  
18 be able to achieve the Town noise standards at any of  
19 the lot lines?

20          MR. SMITH: That's correct. We have not  
21 taken any position that we do meet the Town noise.

22          However, we do meet all the sensitive  
23 receptor requirements, which we think is important as  
24 compared with the Town standard, which we don't find

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 has significant noise reduction.

2 MS. SINDING: I'll come back to the  
3 sensitive receptors.

4 I'll, in fact, come to the sensitive  
5 receptors right now.

6 Those seven sensitive receptors that  
7 were discussed in the application do not include the  
8 Extended Stay Hotel; is that correct?

9 MR. AGRESTI: In the application, that's  
10 correct.

11 MS. SINDING: And it's correct, isn't it  
12 that stipulation 6, which is the noise stipulation,  
13 clause 9, required KeySpan to determine the CNR  
14 rating at "the nearest residential school and open  
15 public space"?

16 MR. AGRESTI: That is correct.

17 MS. SINDING: You stated in your  
18 rebuttal testimony, and the page reference is page  
19 12, lines 5 to 6, that in your opinion, the CNR  
20 doesn't apply to the Extended Stay Hotel, because  
21 it's not a place where people live year round; is  
22 that right?

23 MR. RATZKIN: Excuse me, your Honor, can  
24 I request a clarification?

1 JUDGE GARLIN: Yes.

2 MR. RATZKIN: Were you referring to the  
3 pre-application stipulation?

4 MS. SINDING: I'm sorry. Yes.

5 MR. RATZKIN: Just so the record is  
6 clear.

7 MR. SMITH: I think Mr. Agresti thought  
8 you were referring to the stipulations that we were  
9 looking at before, and I think you would have to show  
10 him exactly where that stipulation is in the --

11 MS. SINDING: Sure. Let's do that.  
12 This is stipulation 6. It's the preapplication  
13 stipulation that's also included in the application,  
14 as an appendix, and it relates to noise.

15 And I'm referring specifically to clause  
16 9, which states that the modified composite noise  
17 rating, or CNR methods, is to be used at the nearest  
18 residential school and public open space receptor  
19 locations.

20 Do you see that?

21 MR. AGRESTI: Yes, I see that.

22 MS. SINDING: And turning back to your  
23 rebuttal testimony at page 12, I believe it's correct  
24 that you stated that you did not believe that the use

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 of CNR was appropriate at the Extended Stay Hotel,  
2 because people do not reside there, or live there  
3 year round; is that correct?

4 MR. SMITH: Where are you on the page?

5 MS. SINDING: Lines 5 to 6. Or it's  
6 actually lines 5 through 9.

7 MR. AGRESTI: Yes, that's what it says.

8 MS. SINDING: The stipulation itself  
9 doesn't distinguish between whether people reside in  
10 a place year round or not year round to be considered  
11 residential, does it?

12 MR. AGRESTI: The stipulation, from what  
13 I read, does not go into that detail.

14 MS. SINDING: In fact, isn't it true  
15 that the CNR model recognizes that people who are not  
16 repeatedly exposed to a noise source are more  
17 sensitive, and conversely, that people who are more  
18 repeatedly exposed to a noise source become less  
19 sensitive to that source?

20 MR. ALEXANDER: Can you repeat that?

21 MS. SINDING: Isn't it the case that the  
22 CNR model recognizes that people that are less  
23 frequently exposed to a noise source are more  
24 sensitive to that noise source than are people who

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 are repeatedly exposed to it?

2 MR. ALEXANDER: I believe what you're  
3 referring to is the adjustments for intermittent  
4 noises versus steady or continuous noise. That may  
5 be what --

6 MS. SINDING: Well, let me refer you to  
7 Exhibit AAS-3, to your rebuttal testimony, and  
8 specifically, to pages 68 to 69, the very bottom of  
9 68, running over to 69 of that exhibit.

10 And unfortunately, the way it was  
11 copied, it's slightly cut off, but what I believe it  
12 says under the heading "Previous Exposure," and I'm  
13 beginning with the second to last sentence on that  
14 page that begins with the words "no correction," do  
15 you see that?

16 MR. ALEXANDER: Yes.

17 MS. SINDING: And it states that no  
18 correction should be applied -- well, why don't you  
19 actually read that sentence into the record, since  
20 I'm going to be -- to the best of your ability, in  
21 light of the fact that it's cut off.

22 MR. ALEXANDER: I'll read that.

23 "No correction should be applied to the  
24 noise level rank if an intruding noise is a new one

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 to which the residents have not been exposed  
2 previously."

3 MS. SINDING: Okay, and the next  
4 sentence?

5 MR. ALEXANDER: "If there has been some  
6 previous exposure to the noise -- or to a noise of  
7 similar nature, a correction number of minus one is  
8 proposed."

9 MS. SINDING: And is it correct that  
10 minus one refers to a reduction of minus one  
11 decibels?

12 MR. ALEXANDER: No.

13 MS. SINDING: Okay. Could you explain  
14 what "minus one" refers to, please.

15 MR. ALEXANDER: It refers to a -- let's  
16 just say a level on this -- more of a gross scale  
17 that the CNR uses to categorize the potential impact.  
18 So it's a shift from one category to another.

19 But what the sentence is referring to,  
20 actually, is a discussion, not of an intermittency.

21 It actually, in a sense, reinforces that  
22 they are thinking in terms of people who are  
23 continuously in that area, who may already have been  
24 exposed to, say, an operation which has similar noise

1 characteristics.

2                   An example: If there's a residential  
3 developments, and there is some industrial on  
4 commercial operations in the area, and there is an  
5 addition of a commercial or industrial operation, you  
6 would say that those people have previous exposure.

7                   They are really not referring to  
8 somebody who spends a couple or three nights in a  
9 hotel, so he's exposed to it then, and he wasn't  
10 exposed to it where he continuously lives.

11                   They are really talking about people who  
12 are there, and who have previous experience with the  
13 sound levels in their environment.

14                   MS. SINDING: Are you aware that the  
15 Extended Stay Hotel, as suggested by its name, is a  
16 place specifically for people who stay for more than  
17 one or two nights?

18                   MR. ALEXANDER: Yes.

19                   MS. SINDING: But it is true that what  
20 this article is saying is that individuals who are  
21 exposed over a period of time to a noise source will  
22 become less sensitive to that noise source; is that  
23 correct?

24                   MR. ALEXANDER: No. I don't believe



1 it's saying that.

2                   It's saying that people who have been  
3 exposed to the noise will be less impacted to a  
4 similar noise in that area.

5                   It's a subtle difference, but there is a  
6 difference.

7                   MS. SINDING: Okay. Let's move on.

8                   Is it correct that KeySpan analyzed the  
9 SUNY dorms using the CNR?

10                  MR. AGRESTI: Yes, we did.

11                  MS. SINDING: Students don't live at the  
12 SUNY dorms all year round, do they?

13                  MR. AGRESTI: I don't know if any  
14 students live there year round or not.

15                  MS. SINDING: And the stipulation -- I'm  
16 referring again to stipulation 6, that was one of the  
17 preapplication stipulations.

18                  It doesn't say that one should only  
19 analyze residences where the residents spend time out  
20 of doors, does it?

21                  MR. AGRESTI: It does not specifically  
22 say that, no.

23                  MS. SINDING: So in your rebuttal  
24 testimony at page 12, line 6 -- again, it's lines 5

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 to 9, really, the fact that people don't spend time  
2 out of doors necessarily at the Extended Stay Hotel  
3 was not a basis for excluding the Extended Stay Hotel  
4 from the CNR, was it?

5 MR. AGRESTI: I'm sorry.

6 Could you repeat that question?

7 MS. SINDING: Well, you say here in  
8 lines 5 through 9, at page 12, you appear to be  
9 distinguishing the Extended Stay Hotel from other  
10 residential uses, in addition to the fact that people  
11 don't live there year round, on the basis that people  
12 don't spend time out of doors there.

13 Am I reading that correctly?

14 MR. AGRESTI: We looked at the Extended  
15 Stay as if it's not a place where people live year  
16 round.

17 MS. SINDING: So the fact that people  
18 don't spend time there out of doors necessarily was  
19 not a basis for excluding the Extended Stay Hotel  
20 from the CNR analysis?

21 MR. AGRESTI: I don't think it was a  
22 basis for it, but it was considered.

23 MS. SINDING: But you didn't omit from  
24 the CNR residences that did not have, say, outdoor

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 pools or patios, did you?

2 MR. AGRESTI: No. If it was a  
3 residence, it was included.

4 MR. SMITH: The fact of the matter is  
5 the extended stay has no outside facilities for use,  
6 other than a parking lot, and on that basis, we  
7 determined that it was an inside application of the  
8 CNR, and not outdoor application, as you would find  
9 an at a house where people are expected to be out in  
10 their yard, in the pool, by their barbecue, that sort  
11 of thing.

12 MS. SINDING: Well, isn't an apartment  
13 building considered residential use?

14 MR. ALEXANDER: Yes.

15 MS. SINDING: And isn't it true that  
16 many apartment buildings don't have swimming pools,  
17 or back yards, or outdoor patios where people might  
18 be spending time?

19 MR. ALEXANDER: Yes.

20 MR. SMITH: I don't believe that the  
21 Extended Stay is an apartment.

22 MS. SINDING: Understood. And I'm just  
23 trying to understand the bases, and it sounds to me  
24 that one is that people don't live there year round,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 and in others, that people don't spend time there out  
2 of doors.

3 MR. SMITH: And that there are no  
4 facilities out of doors for them to spend time.

5 MS. SINDING: But, at the same time,  
6 you've testified that there are other uses that you  
7 consider residential uses where people don't live  
8 year round, or where there are not outdoor amenities;  
9 is that right?

10 MR. ALEXANDER: There are other uses of  
11 that type.

12 I don't think we are stipulating that  
13 there were any of those uses in this particular area  
14 where we did the analysis, although there may be  
15 mixed with uses where there are outdoor facilities.

16 The real issue of indoor versus outdoor  
17 was more applied when evaluating what the CNR value  
18 would be for a particular location. I don't think it  
19 was an issue specifically in determining not to  
20 address the Extended Stay in the initial selection of  
21 noise sensitive uses.

22 MS. SINDING: Okay. So it sounds like  
23 I've misread your testimony on page 12, lines 5 to 7,  
24 where you state that the CNR analysis was designed to

1 be applied to residential uses, where people live  
2 year round and spend time out of doors, and other  
3 sensitive uses, such as schools and parkland, as  
4 described above.

5                   And then continuing, the Extended Stay,  
6 while it may be used for a few weeks, or perhaps  
7 months at a time by someone, does not fit this  
8 category.

9                   MR. ALEXANDER: Correct.

10                  MS. SINDING: But that wasn't -- it's  
11 not that this category does not necessarily depend on  
12 whether people live there year round.

13                  MR. ALEXANDER: It's an aggregate of  
14 factors that make that determination, not any one  
15 factor individually.

16                  MS. SINDING: Let me just ask you this  
17 question.

18                  Would you consider a summer home in the  
19 Hamptons to be a residential use in determining  
20 whether to include it in the CNR analysis?

21                  MR. ALEXANDER: I suspect I would.

22                  MS. SINDING: But people typically don't  
23 spend the full year there, do they?

24                  MR. ALEXANDER: No, but they spend a

1 protracted time, and they spend it with different  
2 expectations, and not just because it's in the  
3 Hamptons -- than people do in -- and I'm not using  
4 this word in a derogatory fashion -- but in a  
5 transient hotel, or a transient resident.

6 MS. SINDING: Turning back to  
7 stipulation 6, to the preapplication stipulation,  
8 it's correct, isn't it, that stipulation 6 required  
9 KeySpan to use the NOISCALC model to predict future  
10 noise impacts in the facility?

11 I'll refer you specifically to page 29,  
12 which is incorporated into -- you have my copy. It's  
13 incorporated into the stipulation, but describes the  
14 protocol that is to be utilized.

15 MR. AGRESTI: Yes. The protocol  
16 stipulated that the NOISCALC model would be used.

17 MS. SINDING: Okay. And in your  
18 rebuttal testimony at page 1219 -- I'll refer you to  
19 the whole paragraph. And this is Mr. Agresti's  
20 testimony.

21 You refer to using a "refined noise  
22 model" to arrive at a late night rating of B.

23 Do you see that?

24 MR. AGRESTI: Yes.

1 MS. SINDING: But it's true, right, that  
2 that was not using the NOISCALC model?

3 MR. AGRESTI: That's correct.

4 MS. SINDING: And in fact, using the  
5 results from the NOISCALC model, as Mr. Wood did in  
6 his direct testimony, you can't dispute, can you,  
7 that the facility would fail to meet a CNR rating of  
8 C at the Extended Stay Hotel?

9 MR. AGRESTI: The NOISCALC model  
10 conducted for the Extended Stay in the application  
11 did not account for any barrier effects, or other  
12 measures or factors that would result in lower noise  
13 levels at the Extended Stay than are presented in the  
14 application.

15 MS. SINDING: Okay. I understand that.

16 And when you ran the second model which  
17 is the CadnaA model, one word, you testified that you  
18 did include certain other -- certain other of the  
19 items you referred to in running that model; is that  
20 right?

21 MR. AGRESTI: Yes.

22 MS. SINDING: But it's also true that  
23 there were certain other sources that you did not  
24 include in running that model; is that right?

1 MR. AGRESTI: In running the CadnaA  
2 model?

3 MS. SINDING: Right.

4 MR. AGRESTI: We included all of the  
5 significant sources at the site.

6 MS. SINDING: I refer you to page 5 of  
7 your testimony, lines 20 to 23.

8 You list, I believe, three items that  
9 were identified in Mr. Wood's testimony as having  
10 been excluded from the NOISCALC model which you  
11 included in the CadnaA model, right?

12 And that's the fin fan cooler adjacent  
13 to the air-cooled condenser, a cooling water module  
14 inside the turbine building, and the turbine  
15 compartment vent fan; is that right?

16 MR. AGRESTI: Yes, that's correct.

17 MS. SINDING: But then there were other  
18 items that Mr. Wood had identified in his directed  
19 testimony that you chose to exclude from the CadnaA  
20 model; is that right?

21 MR. AGRESTI: That's correct.

22 MS. SINDING: And I believe, and I'm  
23 referring now to your response to Interrogatory  
24 Request 169, from SHARED to KeySpan, Subsection L.



1 Do you have a copy of that?

2 MR. AGRESTI: Yes, I do.

3 MS. SINDING: That the items that you  
4 left out of the CadnaA model included the service  
5 station transformer, the turbine building roof, the  
6 turbine building ventilation fans.

7 Those are the ones you identify in 169L;  
8 is that right?

9 MR. AGRESTI: That's correct.

10 MS. SINDING: Will the service station  
11 transformer create noise?

12 MR. AGRESTI: It certainly will generate  
13 noise.

14 MS. SINDING: And the turbine building  
15 roof, will that contribute noise to the facility?

16 MR. AGRESTI: It will generate noise.  
17 How much it contributes is another question, but yes.

18 MS. SINDING: And will the turbine  
19 building ventilation fans create noise?

20 MR. AGRESTI: They will generate noise,  
21 yes.

22 MS. SINDING: And there are two other  
23 items that aren't mentioned in response to  
24 Interrogatory 169L, but that were identified by

1 Mr. Wood. One was the water treatment equipment.

2 Did you include that in the CadnaA model?

3 MR. AGRESTI: No. That is not in the  
4 model.

5 MS. SINDING: But will the water  
6 treatment equipment, in fact, create or generate  
7 noise?

8 MR. SMITH: This facility will have no  
9 water treatment equipment.

10 MS. SINDING: Okay. And Steam lines and  
11 drains, will this facility have steam lines and  
12 drains?

13 MR. SMITH: The steam lines and drains  
14 are enclosed within the turbine building.

15 MS. SINDING: Will they create noise,  
16 generate noise?

17 MR. AGRESTI: They may generate some  
18 noise.

19 MS. SINDING: And cumulatively, would  
20 you expect that each of these four sources that you  
21 excluded from the CadnaA model would generate more  
22 noise than they would individually?

23 MR. AGRESTI: If I understand your  
24 question, just by the very physics, they will

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 generate more noise together than they would  
2 separately.

3 MS. SINDING: So isn't it the case,  
4 then, that it would have been more conservative in  
5 running the "refined model" to have included all of  
6 these sources?

7 MR. AGRESTI: That would suggest that  
8 those sources would increase the total sound level.

9 Based on my experience of the sound  
10 levels, I don't believe that would be the case.

11 MS. SINDING: You don't believe those  
12 four sources will increase the noise level from the  
13 facility?

14 MR. AGRESTI: I do not. And I would add  
15 that if it were shown that they would, that could be  
16 treated in the final design.

17 MS. SINDING: Okay, but we are talking  
18 now about the modeling.

19 And my question is whether it would have  
20 been more conservative to have included those sources  
21 in your modeling.

22 MR. AGRESTI: I would ask you to repeat  
23 that question one more time.

24 MS. SINDING: The question is, wouldn't

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 it have been more conservative to incorporate the  
2 sources, the four sources that we previously  
3 mentioned, in the CadnaA model?

4 MR. AGRESTI: Yes. Aside from the fact  
5 that there were other measures that are considered in  
6 the model, yes.

7 MS. SINDING: I would like to talk about  
8 the modeling that was done at the SUNY campus. And  
9 I'll refer you to table 11-8 from the application.

10 It's correct, isn't it, that at the SUNY  
11 dorm receptor, using the NOISCALC model results, the  
12 facility is just meeting fifty decibels in the 125  
13 per octave bands, and forty-three decibels in the 250  
14 hertz octave band?

15 MR. AGRESTI: Yes, that's correct.

16 MS. SINDING: So am I correct, then, in  
17 assuming that if even one additional decibel of noise  
18 were at this location, the facility would violate the  
19 CNR rating of C?

20 MR. AGRESTI: For that modeling analysis  
21 that was done prior to the additional analysis we  
22 conducted, yes, that is correct.

23 MS. SINDING: So under the NOISCALC  
24 model results, that's correct?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. AGRESTI: Right. And that model,  
2 again, is without all the noise abatement features  
3 that are currently planned.

4 MR. SMITH: I think the point being made  
5 here is that the NOISCALC model you're referring to  
6 in the application here does not take into refined  
7 analysis that was done or introduce additional noise  
8 reduction equipment that subsequently was performed,  
9 such that this data is virtually outdated.

10 MS. SINDING: In your view, the NOISCALC  
11 data is outdated?

12 MR. ALEXANDER: I would say that that is  
13 an extremely conservative projection of what the  
14 noise levels will be because, A, it doesn't include a  
15 lot of the site features which will attenuate the  
16 noise.

17 And B, because it doesn't include many  
18 of the additional noise control features that are now  
19 stipulated to be included in the plan; for instance  
20 the stealth plate technology and other factors.

21 So in terms of being conservative, this  
22 is extremely conservative.

23 So the actual levels will be  
24 substantially lower than this.

1 MS. SINDING: But, in fact, this was the  
2 model you were required to use under stipulation 6;  
3 isn't that right?

4 MR. ALEXANDER: It was the model.

5 MR. AGRESTI: It's the model we are  
6 required to use, but it's not the most recent noise  
7 level date.

8 MS. SINDING: I understand that. The  
9 most recent model data is from the CadnaA model?

10 MR. AGRESTI: Well, that data could also  
11 be used on a NOISCALC model.

12 MS. SINDING: But you didn't run it in a  
13 NOISCALC model, did you?

14 MR. AGRESTI: No, I did not.

15 MS. SINDING: I would just like to refer  
16 back to your rebuttal testimony, again, at page 5,  
17 lines 1 to 9.

18 JUDGE CASUTTO: I'm sorry, what was that  
19 reference?

20 MS. SINDING: Page 5, lines 1 to 9.

21 And do those lines identify all of the  
22 so-called credits that were taken for shielding and  
23 mitigation effects that you referred to earlier?

24 MR. AGRESTI: Yes, they do.

1 MS. SINDING: And these are the items  
2 that you did not include in the NOISCALC model?

3 MR. AGRESTI: That's correct.

4 MS. SINDING: So it's a fact, then,  
5 that, as you sit here today, you cannot guarantee  
6 that using the results from the NOISCALC model,  
7 including these additional noise sources --

8 MR. AGRESTI: I apologize. I'm sorry,  
9 would you repeat that, please?

10 MS. SINDING: Yes. Isn't it a fact  
11 that, as you sit here today, you cannot guarantee  
12 that using the results from the NOISCALC model, the  
13 facility will achieve a CNR rating of C at the SUNY  
14 dorms?

15 MR. AGRESTI: Well, again, the NOISCALC  
16 model uses data that are input to it. The modeling  
17 results from the application are essentially -- they  
18 don't include all the noise mitigation features that  
19 have since been incorporated into the plant.

20 MS. SINDING: I understand that. Those  
21 were included in the CadnaA model, which is not the  
22 model that's provided for in preapplication  
23 stipulation 6; is that right?

24 MR. AGRESTI: That's correct.

1 MS. SINDING: So using the NOISCALC  
2 model, you can't guarantee that the facility will  
3 achieve a CNR rating of C at the SUNY dorms?

4 MR. AGRESTI: It would be possible to go  
5 back and put that data into the NOISCALC model and  
6 you get lower results.

7 MS. SINDING: But you haven't done that?

8 MR. AGRESTI: No, I have not.

9 MS. SINDING: And if you were to include  
10 some of the other noise sources that were left out of  
11 the CadnaA model and the NOISCALC model, you don't  
12 know what the overall results would be, do you?

13 MR. AGRESTI: No, I do know not.

14 MS. SINDING: Wouldn't the best practice  
15 then be to -- or let me not --

16 Withdrawn.

17 I have to apologize. I can't remember  
18 whether it was Mr. Alexander or Mr. Agresti's  
19 testimony, but one of you gentlemen testified in your  
20 rebuttal testimony that it's your practice to include  
21 a one-decibel margin of safety when designing --

22 MR. ALEXANDER: That was mine.

23 MS. SINDING: That was yours.

24 MR. ALEXANDER: It was more referring to

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 the fact that when I do an analysis, I typically like  
2 to see that the end result is at least a decibel  
3 below the criteria I'm aiming for.

4 That was my testimony.

5 MS. SINDING: Okay. And isn't it the  
6 case that based on the NOISCALC results, you cannot  
7 guarantee that you will be able to include, or that  
8 the ultimate designers of the facility will be able  
9 to include a one-decibel margin of safety at the SUNY  
10 dorms at those two octave band levels that we  
11 previously identified?

12 MR. ALEXANDER: Well, again, there are a  
13 couple of issues here.

14 First of all, it's actually my belief  
15 that those are not dormitories. So we were being  
16 conservative in assuming they were dormitories. They  
17 are actually offices.

18 So as offices, the CNR model for that  
19 space, if done correctly, would come out with a lower  
20 value, because it would use a higher ambient, because  
21 it's a day time only facility.

22 But leaving it as dormitories, the  
23 additional noise control, and the additional features  
24 in the facility that are now planned, would result in

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 the CNR results using the NOISCALC model coming out  
2 lower than these values in that table.

3                   The sources are now the sound pressure  
4 level for many of the sources in the design that has  
5 been re-evaluated, and the additional noise control  
6 that has been stipulated to would result in lower  
7 individual sound levels.

8                   So when those were applied in the  
9 NOISCALC model, the aggregate would come out lower  
10 than those values in the table you're referring to.

11                   So I'm confident that if we apply those  
12 new numbers, the C would meet with a margin.

13                   MS. SINDING: Okay, but that's just  
14 speculation, right, because you haven't run any model  
15 that, in fact, indicates what the noise levels would  
16 be, even at the building you modeled, which you have  
17 now testified is an administrative building, using  
18 the NOISCALC model.

19                   MR. ALEXANDER: I would use the word  
20 "professional judgment," and not "speculation," first  
21 of all.

22                   And on my professional judgment, I would  
23 expect the levels to be lower, because as you said  
24 before, if you add things together they add up

1 higher, if you lower the things you're adding  
2 together, they add up lower than they added up to  
3 previously.

4 MS. SINDING: But we have already  
5 established that there were certain sources not  
6 included, even in the refined model. So we don't  
7 know what the results would have been if all of those  
8 sources had been included.

9 MR. ALEXANDER: That's correct.

10 MS. SINDING: And you haven't performed  
11 NOISCALC -- the NOISCALC model to achieve a  
12 residential CNR rating at any actual SUNY dorm; is  
13 that right?

14 MR. AGRESTI: At an actual dormitory?

15 MS. SINDING: Well, you selected one  
16 building, and assumed that it was a dormitory, if I  
17 understand your testimony correctly.

18 MR. AGRESTI: It was like at the nearest  
19 building, I assumed it was a dormitory.

20 MS. SINDING: But you haven't actually  
21 done any testing at a building that you subsequently  
22 determined is a dormitory; is that right?

23 MR. AGRESTI: No, at the more distant  
24 buildings, we did not.

1 MS. SINDING: So we don't know what the  
2 results would be if you ran a model at one of those  
3 buildings?

4 MR. AGRESTI: The process levels would  
5 be lower at most of the locations.

6 MS. SINDING: But you don't know what  
7 those levels would be?

8 MR. AGRESTI: The exact number, I don't,  
9 no.

10 JUDGE GARLIN: The ambient noise level  
11 in a dormitory with or without stereo?

12 (Laughter.)

13 MR. ALEXANDER: I was thinking that, but  
14 I didn't want to say it.

15 MS. SINDING: So just returning to your  
16 earlier testimony, you have affirmed what is in your  
17 rebuttal testimony, that even using the stealth fan  
18 blades, you don't expect the facility to be able to  
19 achieve the Town standard at any of the lot lines; is  
20 that right?

21 MR. AGRESTI: I would say not at all of  
22 the lot lines, we would not.

23 MS. SINDING: At each of the lot lines  
24 you would not?

1 MR. ALEXANDER: There would be locations  
2 where it may meet the regulation at the lot line.  
3 There are other locations where it will not.

4 Your statement has been "at all," and  
5 that is the only word that we are in argument with.

6 We can't say it won't meet it at all.  
7 We can say that it will not meet it at some. It may  
8 meet it at some.

9 MS. SINDING: Okay. And I believe that  
10 in Exhibit AAS-2 to your rebuttal testimony, table 7,  
11 and I'm afraid there's not a page number within the  
12 exhibit.

13 Do you have that in front of you?

14 MR. AGRESTI: Yes.

15 MS. SINDING: And it's correct, isn't  
16 it, that what table 7 indicates is that the Town of  
17 Huntington standard will be met or exceeded at only  
18 three of the fourteen points along the property line  
19 that you took measurements?

20 MR. AGRESTI: Table 7?

21 (Pause.)

22 MR. AGRESTI: Are you referring to the  
23 DBA levels in the right-hand column?

24 MS. SINDING: I am.

1 MR. AGRESTI: The Town standard is by  
2 octave bands. So even if one octave band exceeds,  
3 the standard is exceeded, not just the DBA levels.

4 The DBA level is presented just for a  
5 reference. In reality, the only location there that  
6 would show compliance is property line number ten.

7 MS. SINDING: Because that is the only  
8 point along the property line where the facility  
9 would be meeting or exceeding the standard in every  
10 octave band?

11 MR. AGRESTI: It would be at or below  
12 the standard at every octave band.

13 MS. SINDING: Right.

14 Now, you state in your rebuttal  
15 testimony -- and the reference is page 4, line 13,  
16 that one of the things that you did in the CadnaA  
17 model was to "update the building wall material to  
18 the more massive walls currently proposed for the  
19 project."

20 MR. AGRESTI: That's correct.

21 MS. SINDING: In fact, the walls that  
22 are proposed for the project are 22 gauge; is that  
23 right?

24 MR. AGRESTI: The application analysis

1 assumes a simple 22-gauge panel wall.

2                   The exact material here, I have the  
3 transmission loss data -- I don't know the exact  
4 gauge of the exterior skin.

5                   MS. SINDING: When you say the "material  
6 here," you're referring to the wall that was an input  
7 into the CadnaA model?

8                   MR. AGRESTI: That's correct.

9                   MS. SINDING: And what materials are  
10 those walls?

11                   MR. AGRESTI: The engineering firm was  
12 looking at a wall material to use for the project.

13                   I believe it's about a foot thick or so,  
14 a very massive wall.

15                   And they provided us with transmission  
16 loss data on that wall, and that's what was used in  
17 this analysis.

18                   MS. SINDING: It's one foot thick of  
19 what material?

20                   MR. AGRESTI: I don't know the exact  
21 material.

22                   MS. SINDING: And do you recall what the  
23 transmission loss data are associated with that  
24 material?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. AGRESTI: No. Not offhand, no.

2 MS. SINDING: Would that appear anywhere  
3 in the testimony?

4 MR. AGRESTI: Appendix B to my rebuttal  
5 provides the composite transmission loss values to  
6 the wall material. That's based on the walls, any  
7 openings that were assumed in the walls, and some  
8 translucent panels that would be part of the wall  
9 makeup.

10 MS. SINDING: When you say Appendix B,  
11 that is Appendix B to Exhibit AAS-2?

12 MR. AGRESTI: That is correct.

13 MS. SINDING: And I assume here that you  
14 are looking at the second page of that appendix?

15 MR. AGRESTI: Yes, that's correct. That  
16 is page 2, the second page.

17 MS. SINDING: And at the bottom of that  
18 chart, it says "Centria Wall System (22 GA)."

19 MR. AGRESTI: Right.

20 MS. SINDING: Does that refer to  
21 22-gauge?

22 MR. AGRESTI: Yes. That's the exterior  
23 skin on that wall, yes.

24 MS. SINDING: Isn't it true that a

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 22-gauge steel panel is about the thickness of, say,  
2 a car hood?

3 MR. AGRESTI: I don't know of the  
4 thickness offhand --

5 MR. ALEXANDER: I think the real issue  
6 here is -- and I have to admit I'm not familiar with  
7 the exact product used, but the transmission loss of  
8 a structure, of a wall, of a panel, is not solely a  
9 function of the gauge of its components, but, in a  
10 sense, the way those components are combined.

11 So you can have a 22-gauge wall, and it  
12 certainly isn't a function of the thickness,  
13 because cardboard will have a lot less transmission  
14 loss than the equivalent thickness.

15 Steel, because steel has more mass.

16 But it's more a function of the  
17 construction of the wall itself.

18 So I believe that the wall they are  
19 referring to, if they say it's a foot thick, that it  
20 probably is an exterior panel of 22-gauge, as the  
21 original design evaluation by Mr. Agresti was, but  
22 has an interior panel, also, that is separated from  
23 the exterior panel.

24 And it's really the combination of that

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 construction that allows it to provide a much higher  
2 transmission loss than just the single panel.

3 I'm not sure of the details, but if  
4 Mr. Smith is saying that the overall wall thickness  
5 is a foot, that's not coming from the 22-gauge  
6 exterior panel. It's coming from the combination of  
7 the total wall construction.

8 But I don't know the details.

9 MS. SINDING: And I guess what I'm  
10 asking is, is there information anywhere in your  
11 testimony that would enable us to know precisely what  
12 the construction of the walls are that are going to  
13 be used at the facility is.

14 MR. AGRESTI: No. The engineering firm  
15 provided us with a material they were looking at  
16 evaluating for the wall, and that wall is what was  
17 used in this analysis.

18 MS. SINDING: I'm not seeing this here,  
19 but that's probably because I'm not an engineer; what  
20 the sound transmission class of the material that is  
21 being proposed here is.

22 Do you happen to know that information?

23 MR. AGRESTI: That detail is not here,  
24 and I don't know offhand what that is by octave band,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 or even overall. I don't know what that is much.

2 MS. SINDING: Could you use your  
3 professional judgment to hazard a guess, or is that  
4 something that you just can't ascertain?

5 MR. AGRESTI: The wall material alone is  
6 certainly higher than the transmission wall numbers  
7 there, but what the exact number is, I don't know.

8 MS. SINDING: Could it be an STC of 40?

9 MR. AGRESTI: It could. It may be  
10 higher than that. I don't remember offhand.

11 MS. SINDING: Are you familiar with a  
12 manufacturer of walls -- I'm not sure if this is the  
13 company name, but the wall is referred to as Atco  
14 Walls?

15 MR. AGRESTI: Yes. I'm familiar with  
16 Atco.

17 MS. SINDING: Would you know if the  
18 walls that are being analyzed here would be Atco  
19 Walls, or an equivalent to Atco Walls?

20 MR. AGRESTI: From what I remember, Atco  
21 manufactures several different -- as many as ten  
22 different wall panel materials. There may be one  
23 that is similar to this, but I can't confirm that.

24 MS. SINDING: In response to an

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 Interrogatory request from SHARED -- and that's  
2 Interrogatory request 147 -- and the response says it  
3 was prepared by you, Mr. Agresti -- you provided  
4 certain documents, and the Interrogatory was related  
5 to studies of noise attenuation measures for the  
6 proposed facility.

7                   And you provided certain documents that  
8 appear to show the results of your analysis, assuming  
9 that different numbers, or types of controls were  
10 incorporated.

11                   Do you have that in front of you?

12                   MR. AGRESTI: Yes.

13                   MS. SINDING: And I'd like to have this  
14 marked.

15                   JUDGE GARLIN: The multiple page  
16 document which consists of Interrogatory SHARED-147,  
17 and the response to it, is marked for identification  
18 as Exhibit No. 28.

19                   (Document marked Exhibit 28 for  
20 identification.)

21                   MS. SINDING: If I'm correct in reading  
22 the charts, one of the additional controls that was  
23 considered was the use of Atco B walls, which have a  
24 sound transmission class of 40; is that right?

1 MR. AGRESTI: At one time when we were  
2 evaluating different controls through the NOISCALC  
3 model, yes, that's correct.

4 MS. SINDING: And was a decision made at  
5 some time not to utilize these Atco Walls?

6 MR. AGRESTI: No. We were not preparing  
7 the final design. We were just evaluating different  
8 wall material as far as what kind of reductions could  
9 be achieved.

10 MS. SINDING: And one of the other  
11 controls that is included in here -- and actually,  
12 there are several sets of data here, but are  
13 silencers for the stack, and for the air inlet.

14 And then it looks like on the fourth row  
15 down -- I'm sorry, on the fifth row down is where  
16 you're including all of the additional controls, plus  
17 the silencers for the stack, and for the air inlet;  
18 is that right?

19 MR. AGRESTI: Yes.

20 MS. SINDING: And just looking at the  
21 first page now, so this is at the first property line  
22 receptor, do the results indicate that in fact, if  
23 you utilized all of these sound controls, that the  
24 proposed facility would be able to meet or be lower

1 than the Town's ordinance in all but three of the  
2 octave bands?

3 MR. AGRESTI: It's more than three.  
4 It's four.

5 MS. SINDING: Four?

6 Yes. You're correct.

7 Have you analyzed what the impacts would  
8 be if you were to utilize the Atco Walls with an STC  
9 of 40 together with the stealth fan blades at any  
10 time?

11 MR. AGRESTI: No. In the refined  
12 modeling, I did not look at Atco Co. B walls, but  
13 again, I don't know if the wall that was incorporated  
14 in the model is more efficient than that wall or not.

15 MS. SINDING: So you don't know, if you  
16 were to utilize the Atco B walls, it might, in fact,  
17 be able to achieve the property line standard in  
18 combination with the use of the stealth fan blade?

19 MR. AGRESTI: I don't think there would  
20 be that much a difference between the walls to make  
21 that much of a difference in the total sound level,  
22 mainly because the walls have openings, and other  
23 materials in them, in a composite level, and the  
24 composite transmission loss is actually lower than

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 just that solid wall would provide.

2                   So even increasing the transmission loss  
3 of the wall material, the composite probably would  
4 not increase very much at all.

5                   MS. SINDING: When you're referring to  
6 openings, are you referring to, for example,  
7 ventilation openings?

8                   MR. AGRESTI: That's correct.

9                   MS. SINDING: And what those do is, in  
10 fact, allow a certain additional amount of noise to  
11 get out of the proposed facility and into the  
12 community?

13                  MR. AGRESTI: That's correct.

14                  MS. SINDING: So, in fact, the most  
15 conservative thing to do, going back to the CadnaA  
16 model, would be -- I note that in response to the  
17 SHARED Interrogatory 169 -- you said that you had  
18 taken into consideration the ventilation openings.

19                  But again, wouldn't it have been most  
20 conservative to have also taken into consideration  
21 every source that was inside the building?

22                  Let me refer specifically to -- the  
23 turbine building ventilation fans?

24                  MR. AGRESTI: I'm sorry?

1 MS. SINDING: The turbine building  
2 ventilation fans?

3 MR. AGRESTI: Yes.

4 MS. SINDING: And I believe your  
5 response to 169L was that you had accounted for the  
6 ventilation openings.

7 MR. AGRESTI: Um-hm.

8 MS. SINDING: But you didn't take the  
9 source itself into consideration.

10 MR. AGRESTI: The fan itself, that's  
11 correct.

12 These sources, these additional  
13 sources -- I mean, I've looked at the sound level  
14 that would be expected from some of them, and the  
15 sound power is just so low compared to the aggregate  
16 sound power of the entire plant that it just would  
17 not add to the total sound level.

18 So in conducting an analysis, after a  
19 while when the contribution is going to be so small,  
20 it's just not according to the model anymore.

21 MS. SINDING: But the fact is that you  
22 don't know what the overall contribution would be --

23 MR. AGRESTI: I can certainly say, for  
24 example, the service station transformer, the sound



1 power level from that is so far below the aggregate  
2 of the plant that it would not contribute anything to  
3 the total noise.

4 MS. SINDING: It might not even  
5 contribute, say, one decibel?

6 MR. AGRESTI: No, it would not.

7 MS. SINDING: In response to another  
8 Interrogatory from SHARED which is SHARED 133,  
9 Mr. Smith, you responded to this Interrogatory that  
10 the applicant was not aware of any studies, reviews,  
11 evaluations or consideration of potential noise  
12 impacts from constructing a 250-megawatt facility  
13 such as that proposed for Spagnoli Road at any of the  
14 alternative sites considered in the application; is  
15 that right?

16 MR. SMITH: That's correct.

17 MS. SINDING: I would like to have the  
18 response to SHARED 133 marked as an exhibit.

19 JUDGE GARLIN: 29 for identification  
20 will be the Interrogatory SHARED-133 and the response  
21 to it.

22 (Document marked Exhibit 29 for  
23 identification.)

24 MS. SINDING: Finally, yesterday

1 Ms. Harriman asked about the visual impacts of the  
2 eight to ten-foot high wall that is referred to in  
3 the stipulations, and specifically, in the land use  
4 topic agreement for the western boundary line, and  
5 she directed that question to the visuals panel,  
6 Mr. Wolfgang and Mr. Corrado.

7 And, in response, it was suggested that  
8 that question be directed to this panel, as you would  
9 have more familiarity with the wall that is being  
10 proposed.

11 So my question is, have you considered  
12 the visual impacts of constructing an eight to  
13 ten-foot high wall along the western property edge?

14 MR. SMITH: This is a noise panel, so  
15 I'm not sure exactly why that was directed towards  
16 us.

17 JUDGE GARLIN: Well, do you know what  
18 the materials might be?

19 MR. SMITH: We were looking at a form of  
20 wood material.

21 Certainly, we would work with the Town  
22 of Huntington, and what was an acceptable appearance.  
23 We had not looked at any detailed design.

24 Certainly, when we made that commitment,

1 we were assured that there was some reasonable  
2 material for fencing from a fencing company that  
3 could be made eight to ten-foot high and meet the  
4 sound absorption that the consultants were  
5 discussing.

6 JUDGE GARLIN: So you're talking about,  
7 for example, about the color, or whatever is in the  
8 Sherwin-Williams catalogue?

9 MR. SMITH: Certainly we never addressed  
10 anything relative to color yet.

11 JUDGE GARLIN: I'm sure we'll be hearing  
12 from Mr. Davis about that.

13 MR. SMITH: I'm sure we will.

14 MR. ALEXANDER: Obviously, the materials  
15 could affect the acoustical performance, but there is  
16 a wide range of materials, from tongue and groove, or  
17 ship lathe wood fencing, to precast concrete,  
18 decorative panels.

19 There's actually some plastic panels  
20 which can be achieved in a lot of different colors.  
21 There's metal panels.

22 I mean, there's a broad, broad range of  
23 materials that are used for fence/barriers that  
24 provide the appropriate acoustical performance.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 And it's really just an issue of what  
2 aesthetically is acceptable, and obviously, what has  
3 a low maintenance factor, so the cost is low.

4 MR. SMITH: The location that was  
5 proposed already has a chain link fence along that  
6 property, but I assume we will probably replace that.

7 MS. SINDING: And when you refer to the  
8 proper acoustical qualities, you're referring to the  
9 ten to fifteen-decibel sound transmission loss.

10 Okay.

11 So you don't know if anybody has  
12 actually performed any meaningful assessment of what  
13 the visual impacts would be?

14 MR. SMITH: I do not.

15 MS. SINDING: Okay. I have no further  
16 questions.

17 JUDGE GARLIN: Redirect?

18 MR. RATZKIN: May I just have a few  
19 minutes, please?

20 JUDGE GARLIN: Yes.

21 MR. RATZKIN: Thank you.

22 (Whereupon, a recess was taken.)

23 JUDGE GARLIN: We are back on the  
24 record.

1 Redirect?

2 MR. RATZKIN: Thank you, your Honor.

3 REDIRECT EXAMINATION

4 BY MR. RATZKIN:

5 To the panel generally, could you please  
6 describe what is the typical practice in deciding  
7 what sources to model in developing a major project.

8 MR. ALEXANDER: Of course, the whole  
9 process has become a little bit easier with computer  
10 models, but it's typical a case that a list of the  
11 equipment that would be present in the plant is be  
12 made, and then the major contributors are identified,  
13 and they are included in the model.

14 There's always some very small sources  
15 that can't necessarily be considered because of lack  
16 of data, but based on engineering judgment, they are  
17 usually excluded because their contribution, either  
18 individually or in aggregate, are determined based on  
19 previous experience, to be much, much less  
20 significance, and virtually insignificant compared to  
21 the major sources.

22 Often what is done is that the major  
23 sources are modeled in a conservative manner, to sort  
24 of take care of those small sources which weren't

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 included.

2                   So, for instance, in the model that  
3 Mr. Agresti ran, I know that he excluded any ground  
4 cover, or any attenuation due to foliage.

5                   For example, the directivity from the  
6 turbine exhaust stack, I believe he used a 90-degree  
7 directivity, whereas the receivers of that would be  
8 at angles of greater than 90 degrees, which means  
9 there will be additional attenuation due to just the  
10 directivity of that noise.

11                  So you sort of consider the major  
12 sources in a conservative manner, and by doing that,  
13 the small, minor sources have sound powers and  
14 contributions which are so much lower individually,  
15 and in aggregate, that they can be virtually ignored.

16                  And that's typically the way I've  
17 carried out the analyses on facilities that I've  
18 worked on.

19                  MR. RATZKIN: And were the major sources  
20 included in the modeling of this?

21                  MR. ALEXANDER: Yes, I believe so.

22                  MR. RATZKIN: Do you believe that  
23 including the sources suggested by Ms. Sinding would  
24 have any effect on any receptor?

1 MR. ALEXANDER: I'll pass that on to  
2 Mr. Agresti, because he did run the model, so he is  
3 more familiar with the specifics there.

4 MR. AGRESTI: No, I do not. Especially  
5 considering the service station transformer. The  
6 expected power level from that would be so far below  
7 the aggregate of the balance of the plant that it  
8 would not add to the total sound level.

9 MR. RATZKIN: If the Extended Stay were  
10 modeled as a year round residence in that location,  
11 what CNR rating would be achieved?

12 MR. ALEXANDER: I believe that that  
13 would come out to be a C rating and meet the  
14 requirements that's using the current configuration  
15 of the facility.

16 And in fact, that's a very conservative  
17 assumption, because if you review the way the CNR is  
18 described to be used, there is a correction in there  
19 that provides for a one rank shift.

20 If there is no -- well, in the original  
21 writeup, if there is only winter operations, and if  
22 you read the text of it, that was really a way of  
23 describing locations where there is not extended  
24 outdoor activities.

1                   And in the case of a hotel, even one  
2 where there's extended stay, there would not be  
3 expected to be people having outdoor activity.

4                   So, in fact, a more accurate modeling of  
5 the CNR at that location would come out, under the  
6 current configuration, would be a B.

7                   So it clearly would meet the C  
8 requirement.

9                   MR. RATZKIN: Thank you.

10                  Would you please describe the difference  
11 between the NOISCALC model and the CadnaA model.

12                  MR. AGRESTI: The CadnaA model is  
13 designed to automatically take into account buildings  
14 and structures, the reflections from them, and the  
15 barrier effects from them, as well.

16                  The NOISCALC would be the same thing,  
17 but to do that through the noise CALC model would be  
18 a much more labor intensive process, because one  
19 would have to sit down and physically look at the  
20 source barrier receiver interaction and take into  
21 account the calculation for each one, whereas the  
22 CadnaA model does it automatically.

23                  And in fact, the CadnaA model, if you  
24 put a thousand engineers in a room, they could



1 duplicate all the calculations that are done and come  
2 up with the same results.

3                   So it's just that the CadnaA model is  
4 easier to use because it makes those calculations on  
5 that.

6                   MR. RATZKIN: Just to make sure I  
7 understand correctly, would it be possible to factor  
8 into the NOISCALC model all the refinements and  
9 mitigation that was subsequently used in the CadnaA  
10 model?

11                   MR. AGRESTI: Absolutely.

12                   MR. RATZKIN: And the difference is  
13 simply a question of labor intensivity?

14                   MR. AGRESTI: That's correct.

15                   MR. RATZKIN: Mr. Smith, there was some  
16 discussion about the various materials that might be  
17 used to construct the skin or the walls of the  
18 proposed facility.

19                   What steps would you take to assure that  
20 the materials that are ultimately purchased for the  
21 facility could meet the modeled expectations?

22                   MR. SMITH: The stipulations as  
23 presently written indicate that in the six months  
24 following operation of the unit, we would have to

1 demonstrate the CNR rating at the sensitive  
2 receptors.

3                   In order to do that, the contract that  
4 we establish with our engineering procurement  
5 construct contractor would have stipulations assuring  
6 that the design of the facility, when it goes into  
7 operation, would meet those noise requirements, and  
8 that vendor, as well, would be in discussion with the  
9 numerous manufacturers of different types of  
10 materials, and have available to them the selection  
11 of material that would assure that we meet that noise  
12 criteria.

13                   And that may vary, whether it's a  
14 manufacturer of Atco, specifically or some other  
15 insulating material, they are pretty much limited,  
16 for example, air-cooled condenser manufacturers are  
17 limited in the market, and there is only a couple  
18 available that both use the stealth fan blade  
19 technology, and it's a blade that they both use by a  
20 different manufacturer.

21                   So in that particular case, we are  
22 pretty well identified about where we would go.

23                   MR. RATZKIN: I would like to ask you to  
24 make a comparison between the typical facility of

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 this type that might be constructed in the northeast  
2 without any sound attenuation or mitigation, and to  
3 the measures that are planned to be employed in this  
4 project.

5 Can you try to describe the various  
6 mitigation items that are being planned.

7 MR. SMITH: In another location it is  
8 not inconceivable that this facility would probably  
9 not have an enclosure around the heat recovery steam  
10 generator.

11 The facility would not have silencers.

12 Most of the other equipment would be  
13 located outside, without sound attenuation.

14 In now dealing with this facility at  
15 Spagnoli Road, we totally enclosed all turbine  
16 generator, combustion turbine, steam turbine, heat  
17 recovery steam generator in a building, sound  
18 attenuated.

19 We have added stack silencer. We have  
20 added air inlet silencer.

21 We have enclosed the combustion -- the  
22 gas compressor building externally.

23 We have taken external equipment at  
24 other facilities and placed it inside the turbine

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 building to attenuate sound.

2 We have gone to a stealth fan blade  
3 design on an ACC.

4 I think that pretty much -- oh, and then  
5 the use of a low noise main step-up transformers.

6 MR. RATZKIN: Can you describe the  
7 decibel levels of a standard transformer, step up  
8 transformer to the low noise transformer that is  
9 being planned for this facility?

10 MR. SMITH: Typically, the NEMA  
11 standards, the National Electric Manufacturers  
12 Association, specifies I think approximately  
13 eighty-two DB, at three foot, for a main transformer  
14 similar to what you would have as a step-up for the  
15 steam generator in the turbine stepup transformer.

16 The identification in talking to the  
17 transformer manufacturers, we will be specifying  
18 seventy-one DBA at three foot and requiring that.

19 MR. RATZKIN: Finally, counsel for  
20 SHARED made various references to the preapplication  
21 stipulations.

22 Was SHARED a signatory to those  
23 stipulations?

24 MR. SMITH: The preapplication did not

1 include SHARED as signatories. However, if they  
2 would like to join in the final stipulation, we could  
3 make some arrangement.

4 (Laughter.)

5 MR. RATZKIN: No further questions.

6 JUDGE GARLIN: Any Cross or Redirect?

7 MS. SINDING: I just have a couple of  
8 questions.

9 RECROSS-EXAMINATION

10 BY MS. SINDING:

11 MS. SINDING: Just so I understand, with  
12 respect to the sources that were excluded from the  
13 CadnaA model, the four or so sources that we  
14 discussed previously, you stated that there were two  
15 instances in which they might not be included.  
16 Sometimes you don't have the data as being one of  
17 them.

18 The reason they were not included in  
19 here was not because of lack of data; is that right?

20 MR. AGRESTI: The sources, in my  
21 judgment, were insignificant, so I did not go to try  
22 to get exact data for those sources, because they  
23 were so minor.

24 MS. SINDING: So you don't know if the

1 data was available, and consequently, what the  
2 results would have been if that data would have been  
3 included as inputs?

4 MR. AGRESTI: I'm sorry, could you  
5 repeat that question, please.

6 MS. SINDING: Yes. You said that you  
7 did not take the step of trying to ascertain whether  
8 data was available for those sources; is that right?

9 MR. AGRESTI: For some of those sources,  
10 yes.

11 MS. SINDING: So again, you don't know  
12 what the results of the model would have been had  
13 that data been available and used --

14 MR. AGRESTI: No, I don't, but the fact  
15 that many of those sources, number one, are inside  
16 the building, and are minor, to begin with, they  
17 would not be contributors.

18 MS. SINDING: And, secondly, I just want  
19 to understand, Mr. Alexander, the basis of your  
20 conclusion that if the Extended Stay Hotel had been  
21 modeled as residential, that it would have achieved a  
22 CNR rating of C, you're familiar, aren't you, with  
23 the testimony of Mr. Wood?

24 MR. ALEXANDER: Yes.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MS. SINDING: And you know that he  
2 utilized the NOISCALC model, and considered the  
3 Extended Stay Hotel, or modeled the Extended Stay  
4 Hotel, as a residential location, and determined  
5 that, in fact, it achieved a CNR rating of D; is that  
6 right?

7 MR. ALEXANDER: That's correct.

8 MS. SINDING: And do you have any basis  
9 for concluding that running that model, the NOISCALC  
10 model, and considering the Extended Stay Hotel to be  
11 a residential use, that that is not, in fact, the  
12 correct rating?

13 MR. ALEXANDER: Yes. First of all, when  
14 Mr. Wood ran the model, he was using the original  
15 configuration.

16 And I think we have discussed here and  
17 in the testimony that the current configuration has  
18 lower noise level equipment; for example, the ACC and  
19 various measures.

20 So that brings the levels down, and  
21 that's how it went on a worst case analysis to a C.

22 And the B would be achieved if you  
23 modeled it in the way that, in my judgment, it should  
24 be modeled; that is a location where there are people

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 who may sleep, but there is not outdoor activity.

2 So that's how I got the C indication.

3 MS. SINDING: I understand all of that,  
4 but you did not perform that modeling; is that right?

5 MR. ALEXANDER: No. I have reviewed  
6 some of that data with Mr. Agresti, and based on our  
7 discussions, that's where the conclusion comes from.

8 MR. AGRESTI: I would add, too, that the  
9 data Mr. Wood used for his CNR calculations, based on  
10 the application modeling for Extended Stay, not only  
11 did it not account for the lower source levels we  
12 have now, but it didn't account for any of the  
13 barrier effects which are there.

14 And incorporating those into the  
15 modeling reduces the sound levels at Extended Stay  
16 such that even if it's treated as a year round use,  
17 it would meet the rating of C.

18 MS. SINDING: And that's because he used  
19 the NOISCALC model as you, in fact, used it as  
20 required under stipulation 6, regardless of whether  
21 SHARED was a signatory to that stipulation or not,  
22 right?

23 MR. ALEXANDER: No. It's because he  
24 used the NOISCALC model with data that, at that

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 point, he had available, which does not reflect the  
2 current configuration, and is an extremely  
3 conservative model, in that it does not account for  
4 any barrier effect or shielding.

5 MS. SINDING: But that's the same data  
6 you utilized in running the NOISCALC model?

7 MR. AGRESTI: But again, the NOISCALC  
8 model could have been enhanced to take into account  
9 barrier effects that would have resulted in lower  
10 sound levels, as we showed in our rebuttal testimony.

11 MS. SINDING: I understand that.

12 All I'm trying to make clear is that  
13 you, in fact, have not run the NOISCALC model with  
14 those different input factors.

15 MR. AGRESTI: No, but again, it's  
16 intuitive, just knowing, taking into account barrier  
17 effects and lower sound levels, it would have lower  
18 sound levels At the receiver.

19 MS. SINDING: Okay. I have no further  
20 questions.

21 JUDGE GARLIN: The witnesses are  
22 excused.

23 (Witnesses excused.)

24 JUDGE GARLIN: We are going to recess

1 for about five minutes.

2 (Whereupon, a recess was taken.)

3 JUDGE GARLIN: We will go back on the  
4 record.

5 I believe the next witness is Mr. Wood.  
6 E R I C W O O D, called as a witness, having first  
7 affirmed to tell the truth, was examined and  
8 testified as follows:

9 JUDGE GARLIN: Please be seated, state  
10 your name and business address for the record.

11 MR. WOOD: My name is Eric Wood,  
12 E-r-i-c, 33 Moulton Street, Cambridge, Massachusetts.

13 DIRECT EXAMINATION

14 BY MS. SINDING:

15 MS. SINDING: Mr. Wood, have you  
16 reviewed your prefiled direct testimony dated June  
17 27, 2002?

18 MR. WOOD: Yes.

19 MS. SINDING: And do you have any  
20 corrections or modifications to make to that  
21 testimony?

22 MR. WOOD: No.

23 MS. SINDING: And do you adopt the  
24 testimony as your own?

1 MR. WOOD: Yes.

2 MS. SINDING: At this time, I would like  
3 to move the admission into evidence of the prefiled  
4 testimony of Eric Wood.

5 JUDGE GARLIN: The prepared testimony of  
6 Mr. Wood will be copied into the record as if given  
7 here today orally.

8 (Continued on following page.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

ReporterLink Systems, Inc.

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

STATE OF NEW YORK  
BOARD ON ELECTRIC GENERATION  
SITING AND THE ENVIRONMENT

---

IN THE MATTER

- of the -

Application of Keyspan Energy Development Corporation  
for a Certificate of Environmental Compatibility and Public  
Need to Construct and Operate a Nominal 250 Megawatt  
Combined Cycle Combustion Turbine Electric Generating  
Plant in the Town of Huntington, Suffolk County, New York

---

Case No. 01-F-0761

SOUTH HUNTINGTON ALLIANCE FOR RESPONSIBLE ENERGY  
DEVELOPMENT, ARROW ELECTRONICS, INC., GILBERT DISPLAYS,  
INC. AND MARCHON EYEWEAR, INC.'S PRE-FILED DIRECT  
TESTIMONY OF ERIC J. W. WOOD

Mark A. Chertok, Esq.  
Sive, Paget & Riesel, P.C.  
460 Park Avenue  
New York, New York 10022

- and -

Richard C. Cahn, Esq.  
Cahn, Wishod & Knauer, LLP  
425 Broadhollow Road, Ste. 315  
Melville, New York 11747

Attorneys for the South Huntington  
Alliance for Responsible Energy  
Development, Arrow Electronics,  
Inc., Gilbert Displays, Inc. and  
Marchon Eyewear, Inc.

Dated: June 27, 2002

Case No. 01-F-0761

ERIC J.W. WOOD

1   **Q:    Please state your name, title, affiliation and address.**

2   A:    My name is Eric J.W. Wood, and I am a Principal in Acentech  
3   Incorporated, where I have been employed since 1989. My business address is 33  
4   Moulton Street, Cambridge, Massachusetts.

5   **Q:    On whose behalf are you offering your testimony?**

6   A:    I offer my testimony on behalf of S.H.A.R.E.D. and its constituent  
7   members Arrow Electronics, Inc., Gilbert Displays, Inc. and Marchon Eyewear,  
8   Inc.

9   **Q:    What role does Acentech have in this proceeding?**

10  A:    Acentech is a noise and acoustical consultant for the South Huntington  
11  Alliance for Responsible Energy Development ("S.H.A.R.E.D.") for the purpose  
12  of evaluating and analyzing the noise impacts that will result from the  
13  construction and operation of Keyspan's proposed Spagnoli Road Electric  
14  Generation Facility (the "Facility").

15  **Q:    What role do you have in this proceeding?**

16  A:    I have been asked to review and evaluate the adequacy of Keyspan's  
17  Application insofar as it relates to construction and operation noise impacts  
18  associated with the proposed Facility and to give my opinion on issues relating to  
19  noise impacts.

20  **Q:    What is your job at Acentech?**

Case No. 01-F-0761

ERIC J.W. WOOD

1 A: I am a Principal at Acentech, where I have worked since 1989. Acentech  
2 is among the largest and oldest acoustical consulting firms in North America with  
3 extensive direct experience in energy projects. I direct and provide technical  
4 contributions to engineering and environmental projects related primarily to the  
5 measurement, evaluation and control of noise during the design, construction and  
6 operation of major energy systems, transportation facilities, and industrial plants.

7 **Q: How are you qualified to perform your employment duties?**

8 A: During thirty years of consulting practice, I have personally supervised or  
9 participated in hundreds of projects requiring ambient measurement surveys,  
10 environmental reports, project licensing, construction and demolition noise  
11 studies, interior and exterior noise and vibration surveys, and noise control  
12 designs. This includes my experience from 1972 until 1989 with Bolt Beranek  
13 and Newman, where I was a Supervisory Consultant. I have a B.S. in mechanical  
14 engineering from the University of Hartford. In addition, I am a member of the  
15 Institute of Noise Control Engineering and the Acoustical Society of America.

16 **Q: Does your curriculum vitae, which is attached as EW-1, fairly and**  
17 **accurately represent your experience with respect to the evaluation of noise**  
18 **impacts?**

19 A: Yes.

20 **Q: Do you have any noteworthy experience with noise impacts from the**  
21 **construction and operation of power generation facilities?**

Case No. 01-F-0761

ERIC J.W. WOOD

1 A: Yes. I have had extensive engineering acoustics experience at electric-  
2 power generation projects ranging in size from less than 1 megawatt-electric  
3 (MWe) to more than 1,000 MWe, including combined-cycle combustion turbine  
4 facilities such as the one proposed here. My curriculum vitae lists representative  
5 cogeneration and combined-cycle facility projects on which I have consulted.  
6 Moreover, I have co-authored or edited several comprehensive guidebooks for the  
7 electric power industry on the subjects of power plant construction noise, power  
8 plant operating noise and power plant draft fan noise. These include, among  
9 others, the *Power Plant Construction Noise Guide*, prepared for the Empire State  
10 Electric Energy Research Corporation, New York, 1977; and the *Electric Power*  
11 *Plant Environmental Noise Guide: Volumes 1 and 2*, Copyright by the Edison  
12 Electric Institute, Washington D.C. (1978, updated 1983). Indeed, these  
13 publications are principal materials that Keyspan has used to predict noise levels  
14 from the construction and operation of the proposed Facility, and referenced  
15 repeatedly in Section 11 and Appendix 11A of the Application.

16 **Q: What documents and other information have you reviewed in**  
17 **preparing your testimony?**

18 A: I have comprehensively reviewed the relevant portions of Keyspan's  
19 Article X Application, with particular focus on Sections 2 (Project Description)  
20 and 11 (Noise) and on Appendix 11A (Noise Technical Report), as well as  
21 Keyspan's May 20, 2002 Responses to S.H.A.R.E.D., Arrow Electronics, Inc.,

Case No. 01-F-0761

ERIC J.W. WOOD

1 Gilbert Displays, Inc., and Marchon Eyewear, Inc. Interrogatory/Document  
2 Request of May 9, 2002, and the May 15, 2002 Order Specifying Article X Issues  
3 (the "Issues Order"). I also visited the area surrounding the proposed Facility site,  
4 including the Extended Stay America Hotel (the "Extended Stay Hotel").  
5 Additionally, I have read relevant portions of the Town of Huntington Noise  
6 Ordinance and Article X.

7 **Q: Have you formed any opinions based on your review of these**  
8 **materials?**

9 **A:** Yes.

10 **Q: What are they?**

11 **A:** First, I believe that the proposed Facility would not comply with Section  
12 198-89(B) of the Town of Huntington Code ("Code") entitled "Measurement of  
13 elements at lot line" at this location. Second, in my opinion Keyspan did not  
14 design the Facility with a sufficient safety margin to ensure that it will meet the  
15 Composite Noise Rating ("CNR") of "C" limit at the dormitories on the adjacent  
16 State University of New York at Farmingdale Campus (the "SUNY  
17 Dormitories"). Third, I am of the opinion that the facility noise reported by the  
18 Applicant would result in a CNR rating of "D" at the Extended Stay Hotel.  
19 Finally, I believe that noise levels from pile-driving during construction would be  
20 greater than reported by the Applicant.



Case No. 01-F-0761

ERIC J.W. WOOD

1   **Q:    What is your opinion concerning the proposed Facility's ability to**  
2   **meet Town's Noise Ordinance?**

3   A:    Table 11-10 on page 11-15 of Keyspan's Application shows that the  
4   proposed Facility will violate Code Section 198-89(B) at the site's lot line, even  
5   with the noise control features Keyspan proposes as "mitigation". This would  
6   occur at each of the 14 locations considered by Keyspan along the Facility  
7   property line. Keyspan identified the proposed air cooled condenser as the  
8   "dominant noise source" causing this violation, and apparently found that no  
9   existing air cooled condenser ("ACC") would achieve the Town's Noise  
10   Ordinance standard. Therefore, Keyspan argued that it could not comply with  
11   Code Section 198-89(B).

12        In my opinion, the proposed Facility is predicted to violate the Town's  
13   Noise Ordinance, not because of the ACC, but because it is a large industrial  
14   facility proposed to be built and operated on a small site. Thus, the violation of  
15   Code Section 198-89(B) is not simply the result of project noise, but construction  
16   of a facility that does not fit this site. If Keyspan built this Facility on a larger  
17   site, then it could more closely comply with the Code Section 198-89(B).

18   **Q:    In your opinion, if Keyspan obtains a waiver from Code Section 198-**  
19   **89(B), would the Facility comply to the fullest extent practical with that**  
20   **Section at this location?**

Case No. 01-F-0761

ERIC J.W. WOOD

1 A: Not necessarily. In Section 11.5.2 of the Application at page 11-15,  
2 Keyspan states that it made requests to potential ACC vendors to supply the noise  
3 level data associated with the quietest ACC design that was commercially  
4 available, regardless of cost. According to Keyspan, even using the quietest  
5 available ACC, the property line standard would still be exceeded. Therefore,  
6 Keyspan maintains that it cannot comply with this standard, and so should receive  
7 a waiver.

8 But Keyspan's inability to comply with the law does not excuse it from  
9 coming as close as existing technology permits. Section VI.2. of the Draft  
10 Certificate requires Keyspan to comply with the Town standards "to the fullest  
11 extent practical" even if a waiver is granted. Thus, Keyspan must use the quietest  
12 plant design and equipment that are commercially available and practicable  
13 regardless of whether it would achieve the property line standard. This includes  
14 not only the quietest ACC, but the quietest transformers, turbines, compressors  
15 and other equipment that contribute noise at the property line.

16 I do not find anything in the Application to indicate that Keyspan has done  
17 or will do this. Nor do I find anything in the Application to indicate that using the  
18 quietest equipment would be unreasonably costly. The final Certificate should  
19 therefore specify that Keyspan must use the quietest practical plant and equipment  
20 designs.

Case No. 01-F-0761

ERIC J.W. WOOD

1 Q: Do you have an opinion about noise impacts the Facility would cause  
2 at the SUNY Dormitories?

3 A: Yes.

4 Q: What is your opinion?

5 A: In my opinion Keyspan did not include a reasonable and explicit margin of  
6 safety in the plant design goal or modeling results sufficient to ensure that the  
7 noise generated by the Facility will not exceed the NYSDPS requirements at the  
8 SUNY Dormitories.

9 Q: What are the NYSDPS noise requirements at the SUNY Dormitories ?

10 A: For new power plants to be built in New York State, the Applicant must  
11 demonstrate that they will not exceed specific noise limits at sensitive receptors  
12 near the proposed site. The Applicant's table 11-8 provides both calculated  
13 operating noise levels and what the Applicant terms "design goals". The design  
14 goals listed in this table are actually the specific maximum noise limits that, if  
15 exceeded, would violate the NYSDPS noise requirements. For the SUNY  
16 dormitories, two of these maximum noise limits are shown as 50 decibels (dB) in  
17 the 125 Hz octave band and 43 dB in the 250 Hz octave band.

18 Q: What is the basis for your opinion that Keyspan did not include a  
19 reasonable and explicit margin of safety in the plant design goal or modeling  
20 results relative to the SUNY Dormitories?

Case No. 01-F-0761

ERIC J.W. WOOD

1 A: When calculating facility operating noise levels, Table 11-8 of the  
2 Application shows that the project operating-noise modeling results for the 125  
3 and 250 Hz octave bands at the SUNY Campus include zero margin or room for  
4 such uncertainties. However, an error of only 1 dB in the modeling results would  
5 result in the project exceeding the required modified CNR rating of "C" at the  
6 SUNY Campus.

7 Such an error is entirely plausible here. For example, Appendix 11A  
8 Section D of the Application identifies nine specific noise sources at the proposed  
9 plant and shows that eight of those noise sources were included in the operating  
10 noise model. However, in calculating the facility operating noise, the Applicant  
11 did not include numerous other sources of noise that will operate at the Facility.  
12 Sources of noise not included in the model include the turbine building ventilation  
13 fans, the fuel-gas-compressor station ventilation fans, water treatment equipment,  
14 steam lines and drains, the turbine building roof, the station service transformer,  
15 the combustion turbine generator compartment exhaust fans, the load  
16 compartment exhaust fans and the ACW cooler. No one of these "left-out  
17 sources" is of great importance by itself. However, together they could be  
18 expected to increase the modeled noise levels.

19 When operating noise limits are considered important and must not be  
20 exceeded, it is common practice in the engineering profession to include a  
21 reasonable and explicit margin (factor of safety) in the plant design goal and/or

Case No. 01-F-0761

ERIC J.W. WOOD

1 modeling results. In my opinion, the Applicant should be required to provide a  
2 revised operating-noise analysis that includes the additional noise abatement  
3 necessary to exhibit a design margin of at least 3 dB, and to include additional  
4 noise control treatments required to comply with the NYSDPS noise requirements  
5 applying this design margin.

6 **Q: Do you have any opinion about the noise impacts from operation of**  
7 **the Facility at the Extended Stay Hotel?**

8 A: Yes. The Applicant treated the SUNY campus as a sensitive receptor  
9 because dormitories where students reside are located on the Campus. Mr.  
10 DeSanctis informs me that guests at the Extended Stay Hotel, as the name  
11 implies, reside there for weeks and even months at a time. Yet the Applicant did  
12 not use the modified CNR analysis to evaluate the Facility operating noise at the  
13 Extended Stay Hotel as was done for the SUNY campus. I did, however.

14 **Q: What is the modified CNR analysis?**

15 A: It is an analysis and rating method employed to judge the acceptability of  
16 noise from industrial facilities located near noise-sensitive receptors. The CNR  
17 analysis yields composite noise ratings ranging from "A" to "I", where "A" is  
18 very quiet and "I" is very noisy. New power plants to be built in New York State  
19 must be evaluated with a modified CNR analysis and must demonstrate that they  
20 will achieve a rating no greater than "C" at noise-sensitive receptors near the  
21 proposed site.

Case No. 01-F-0761

ERIC J.W. WOOD

1           My calculations show that operation of the Facility will result in a CNR  
2   rating of "D" at the Extended Stay Hotel. To reach this conclusion, I used the  
3   background noise levels at the hotel measured by the Applicant and reported in  
4   Table A-23 of Appendix 11A Section A. I also used the plant operating noise  
5   levels expected at the hotel as calculated by the Applicant and reported in  
6   Appendix 11A Section D. These data show the Facility operational noise level to  
7   be 7 to 8 dBA greater than the existing background noise at the hotel. Applying  
8   the modified CNR analysis to the Applicant's data, annexed as EW-2, I calculated  
9   that the Facility noise would achieve a "D" rating at this receptor. This fails the  
10   design requirement of Level "C".

11   **Q:   Finally, do you have any opinion on the adequacy of Keyspan's**  
12   **application as it concerns construction noise impacts, particularly from pile-**  
13   **driving activities?**

14   A:   Yes.

15   **Q:   What is your opinion?**

16   A:   In my opinion Keyspan has underreported the level of noise to be expected  
17   during pile driving activities.

18   **Q:   What is the basis for your opinion?**

19   A:   Keyspan's assertion that "no noise impacts from construction activities  
20   are anticipated" is based on the their data presented in Table 11-5 on page 11-8.  
21   That table suffers from two problems. First, to derive the anticipated average

Case No. 01-F-0761

ERIC J.W. WOOD

1 construction noise or "ACN" in that Table, Keyspan used what they refer to as the  
2 "Maximum Noise Levels of Major Construction Equipment" listed in Table 11-4  
3 on page 11-7 of the Application. But the 90 dBA noise level in Table 11-4 used  
4 by the Applicant does not represent the "maximum noise levels" for pile driving  
5 activities. Instead, for pile drivers the 1971 and 1974 BBN reports referenced by  
6 the Applicant provide maximum noise levels of 105 and 107 dBA.

7 Second, Applicant's Table B-1 of Appendix 11A indicates that pile  
8 driving will occur during 4% of the initial grading and excavation construction  
9 phase. The source of this operating time value appears to be Table A-2c of the  
10 1971 BBN report referenced by the Applicant. However, that BBN source report  
11 states that this value includes the fractional number of industrial construction sites  
12 throughout the U.S. at which pile drivers are used. Thus, the 4% operating time  
13 value appears to have been improperly applied in the Applicant's construction  
14 noise analysis.

15 The Applicant reports in Table 11-5 that the average construction noise  
16 during initial grading and excavation will be 59 dBA at the Extended Stay Hotel.  
17 After correcting these two problems, as shown in EW-2, the Applicant's analysis  
18 would show actual noise levels during pile driving can be expected to exceed 70  
19 dBA at the Extended Stay Hotel.

20 **Q: Does this conclude your testimony?**

21 **A: Yes.**

1 MS. SINDING: And, Mr. Wood, have you  
2 reviewed the exhibits to your testimony?

3 MR. WOOD: I don't remember, other than  
4 my resume. Were there others, also?

5 MS. SINDING: Yes. There is a  
6 memorandum dated June 25th, to Michael Bogen  
7 concerning modeling at the Extended Stay America  
8 Hotel.

9 Would you like to review those exhibits  
10 now?

11 MR. WOOD: No. I believe you. I  
12 remember that now.

13 MS. SINDING: Do you have any changes or  
14 modifications to those exhibits?

15 MR. WOOD: No.

16 MS. SINDING: At this time, I would like  
17 to request that Exhibits EW-1 and EW-2 be marked as  
18 exhibits.

19 JUDGE GARLIN: Exhibits EW-1 and EW-2  
20 are marked for identification as Exhibit 30.

21 (Documents marked Exhibit 30 for  
22 identification.)

23 JUDGE GARLIN: Anything else?

24 MS. SINDING: Oh, I'm sorry. The



1 witness is available for cross-examination.

2 JUDGE GARLIN: All right. I received  
3 estimates of about forty-five minutes from the  
4 applicant, and about a half hour from DPS.

5 MR. RATZKIN: The applicant will have no  
6 questions.

7 JUDGE GARLIN: No questions?

8 MR. RATZKIN: No, sir.

9 JUDGE GARLIN: Ms. Harriman, do you have  
10 any?

11 MS. HARRIMAN: This will be Mr. Lang's  
12 territory.

13 MR. LANG: We have a few, Judge.  
14 Certainly it won't be a half-hour.

15 JUDGE GARLIN: Before you go, are there  
16 any late comers who have joined us?

17 No.

18 Go ahead, Mr. Lang.

19 CROSS-EXAMINATION

20 BY MR. LANG:

21 MR. LANG: Sir, do you have a copy of  
22 your testimony in front of you?

23 MR. WOOD: I do.

24 MR. LANG: Would you please turn to page

1 5 of your testimony, lines 12 through 17.

2 MR. WOOD: Page 5, yes.

3 MR. LANG: As I understand your  
4 testimony, you're saying that the facility does not  
5 fit the site.

6 Are you saying that the footprint of the  
7 facility is too large for this site?

8 MR. WOOD: No. I would say that the  
9 site is small for the facility.

10 MR. LANG: Well, you state in lines 14  
11 through 16 that the violation of the code section is  
12 due to construction of a facility that does not fit  
13 this site.

14 MR. WOOD: Correct.

15 MR. LANG: So you're saying that the  
16 facility is too large?

17 MR. WOOD: Physically too large?

18 MR. LANG: Yes.

19 MR. WOOD: No. What I'm saying is that  
20 because the site is small, and because it's a noisy  
21 industrial facility, that the noise from the facility  
22 is expected to exceed the Town noise limits.

23 If it had been placed on a larger site,  
24 clearly, the noise at the property boundary would

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 have been lower.

2 MR. LANG: How much larger of a site?

3 MR. WOOD: Well, if you take a look at  
4 the plot plan, one of the locations along the  
5 property line, if I remember correctly, is location  
6 ten, I believe, is nearly in compliance. It's the  
7 one that is the closest to compliance.

8 So if the site had been slightly larger  
9 than where location ten is, you could have expected  
10 it to either meet or come close to meeting the Town  
11 noise level.

12 MR. LANG: Do you believe that the  
13 Northport site would be sufficiently large to  
14 accommodate the site for this proposed facility?

15 MR. WOOD: I haven't studied the  
16 Northport site. I haven't been to Northport probably  
17 for twenty years.

18 MR. LANG: Have you looked at any of the  
19 alternative sites from a noise perspective?

20 MR. WOOD: I have not.

21 MR. LANG: Are you offering any opinions  
22 as to the suitability of any alternative from a noise  
23 perspective?

24 MR. WOOD: No opinion.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. LANG: Is your testimony that you  
2 have submitted related solely to noise issues, or are  
3 you opining on the design of the building, design of  
4 the facility, or any other aspects besides noise?

5 MR. WOOD: Only noise.

6 MR. LANG: I have no further questions,  
7 your Honor.

8 JUDGE GARLIN: Redirect?

9 MS. SINDING: I'll take one minute to  
10 consult with the witness, but I doubt it.

11 JUDGE GARLIN: All right.

12 (Whereupon, a recess was taken.)

13 MS. SINDING: SHARED will have no  
14 Redirect.

15 JUDGE GARLIN: In that case, the witness  
16 is excused?

17 MR. WOOD: Done?

18 JUDGE GARLIN: Done.

19 MR. WOOD: We appreciate the brevity.

20 (Laughter.)

21 (Witness excused.)

22 JUDGE GARLIN: The only remaining  
23 witnesses scheduled for today are aviation witnesses  
24 panel for the applicant and the witness for SHARED.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 I guess nothing has changed from what I  
2 canvassed yesterday as to the advanced availability  
3 of witnesses by anybody.

4 Apparently, it's not the case for  
5 anybody.

6 Let's just go off the record for a  
7 second.

8 (Discussion held off the record.)

9 JUDGE GARLIN: Let's go back on the  
10 records.

11 Is the applicant going to proceed with  
12 the aviation panel first?

13 MR. RATZKIN: If that's your preference.

14 JUDGE GARLIN: I don't --

15 MR. RATZKIN: Yes. We are happy to do  
16 that.

17 JUDGE GARLIN: Just because of the way  
18 this issue was framed, I didn't know if it was going  
19 to be done differently.

20 MR. RATZKIN: No, your Honor.

21 JUDGE GARLIN: Go ahead. Why don't you  
22 call your witness.

23 Mr. Young, if you would raise your right  
24 hand.

1 H E N R Y Y O U N G, called as a witness, having  
2 first duly affirmed to tell the truth, was examined  
3 and testified as follows:

4 JUDGE GARLIN: Please be seated, and  
5 state your name and business address for the record.

6 Before you do, let me just note that Mr.  
7 Smith who has already been up once today, is  
8 reappearing with this panel. I won't make him go  
9 through this again.

10 J E F F R E Y S M I T H, recalled as a witness,  
11 having been previously duly sworn, resumed, was  
12 examined and testified as follows:

13 MR. YOUNG: My name is Henry Young. I'm  
14 President of Young Environmental Sciences, 1295  
15 Northern Boulevard, in Manhasset, New York 11030.

16 MR. SMITH: Jeffrey Smith.

17 JUDGE GARLIN: Go ahead. You've done  
18 it.

19 Go ahead.

20 MR. SMITH: KeySpan Energy Development  
21 Corp., 201 Old Country Road, Melville, New York.

22 DIRECT EXAMINATION

23 BY MR. RATZKIN:

24 MR. RATZKIN: Mr. Young, have you had an

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 opportunity to review your prefiled testimony in this  
2 case submitted on July 24, 2002?

3 MR. YOUNG: Yes, I have.

4 MR. RATZKIN: And do you have any  
5 corrections or modifications to that testimony that  
6 you wish to make at this time?

7 MR. YOUNG: No, I do not.

8 MR. RATZKIN: Mr. Smith, have you  
9 reviewed the prefiled aviation testimony of Smith and  
10 Young submitted on July 24th of 2002?

11 MR. SMITH: Yes, I have.

12 MR. RATZKIN: Do you have any  
13 corrections or modifications that you wish to make to  
14 that testimony at this time?

15 MR. SMITH: No, I don't.

16 MR. RATZKIN: Your Honors, I move that  
17 the testimony be submitted into evidence.

18 JUDGE GARLIN: The prepared filed  
19 testimony of witnesses Smith and Young will be copied  
20 into the record as if given here today orally.

21 (Continued on following page.)

22

23

24

**KEYSPAN ENERGY DEVELOPMENT CORPORATION**

**REBUTTAL TESTIMONY  
OF  
JEFFREY L. SMITH  
HENRY A.F. YOUNG**

**IN SUPPORT OF SECTION 13.0 OF THE  
SPAGNOLI ROAD ENERGY CENTER PROJECT  
ARTICLE X APPLICATION  
Case 01-F-0761**

**July 24, 2002**



Case 01-F-0761

SMITH/YOUNG

1 Q. Please state your names and business addresses.

2 A. My name is Henry A.F. Young and my business address is 1295 Northern  
3 Boulevard, Suite 11, Manhasset, New York.

4 Q. Mr. Young, have you previously provided testimony in these proceedings?

5 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
6 X Application that was filed on January 28, 2002. My educational background  
7 and professional qualifications are set forth in that testimony.

8 A. My name is Jeffrey L. Smith, and my business address is 201 Old Country Road,  
9 Melville, New York.

10 Q. Mr. Smith, have you previously provided testimony in these proceedings?

11 A. Yes. I have provided pre-filed testimony that was included as part of the Article  
12 X Application that was filed on January 28, 2002. My educational background  
13 and professional qualifications are set forth in that testimony.

14 Q. Have you reviewed the testimony of Robert Gordon?

15 A. Yes.

16 Q. Mr. Young, are you familiar with the Exhibit \_\_ (SY-1), the appeal filed by  
17 Arrow Electronics ("Arrow") concerning the No Hazard determination issued by  
18 the Federal Aviation Administration ("FAA") with respect to the proposed facility  
19 stack (Petition for Review of Aeronautical Study No. 01-AEA-1176-0E)?

20 A. Yes.

21 Q. Has the FAA rendered a decision on the Arrow appeal?

Case 01-F-0761

SMITH/YOUNG

1 A. Yes. See Exhibit \_\_ (SY-2) (Letter to Jim J. Marquez, Holland and Knight LLP  
2 from Sabra W. Kaulia, Program Director for Air Traffic Airspace Management,  
3 dated July 19, 2002).

4 Q. What did the FAA decide?

5 A. The FAA rejected the appeal, finding no merit in any of the issues raised by  
6 Arrow. Specifically the FAA stated:

7 [W]e find that the Regional Office properly followed all of  
8 the necessary procedures in making the subject  
9 determination. Your petition failed to provide any new  
10 facts or information that would change the basis on which  
11 the determination was made. Accordingly, your request for  
12 discretionary review is denied and the above referenced  
13 Determination of No Hazard to Air Navigation is final.  
14

15 Q. What issues did Arrow raise in its appeal?

16 A. Arrow raised five separate issues, asserting (i) that the proposed exhaust stack  
17 would constitute a hazard to navigation; (ii) that the proposed stack's effects on  
18 airspace exceeded its height; (iii) that the type of traffic at Republic Airport  
19 presents particular safety concerns; (iv) that the proposed stack impinges on the  
20 finite airspace that the FAA should protect; and (v) that the FAA's aeronautical  
21 study had been procedurally flawed.

22 Q. In his testimony, does Robert Gordon present any issues other than those that  
23 were presented by Arrow in its appeal and that were considered by the FAA in  
24 rejecting that appeal?

25 A. No. The issues discussed by Mr. Gordon concern (i) whether the proposed stack  
26 would present a hazard to aviation; (ii) whether the plume from the stack would

1 present a danger to aircraft; (iii) whether particular risk factors were present at  
2 Republic Airport.

3 Q. Do you have any further comments about the stack plume discussed by Mr.  
4 Gordon.

5 A. Yes. Notably, Mr. Gordon does not testify to a single accident involving aircraft  
6 overflying a stack plume. Nor does he cite a single study evaluating the asserted  
7 impacts of stack plumes on air navigation. Mr. Gordon, although an experienced  
8 pilot, is not a scientist with the technical expertise that would qualify him to  
9 evaluate the impact of stack plumes on aircraft performance. He does not even  
10 testify that he, a pilot with over 10,000 hours of flight time, has ever flown  
11 through a plume. Thus, he lacks even a relevant anecdote to relate. In sum, he  
12 provides no evidence of the effects of stack plumes.

13 Q. Are you aware of any air traffic accident ever associated with a stack plume?

14 A. No.

15 Q. To the panel: are you aware of any studies or FAA circulars or any other  
16 information identifying or even suggesting any air navigation hazard associated  
17 with thermal or vapor plumes that might be associated with the proposed facility?

18 A. No. Mr. Gordon speculates that overflying the stack could cause engine failure  
19 due to oxygen depletion. I am aware of no basis for this statement. Assume, for  
20 example, that an aircraft is travelling at 50 mph, the low end of the range  
21 suggested by Mr. Gordon. That computes to 73.4 feet per second. Even  
22 assuming that the plume is spread 75 feet wide with a total absence of oxygen, it  
23 would take but one second for the slowest of aircraft to cross the plume width.

1 This is insufficient to cause engine failure because the oxygen starvation would  
2 not be complete. Notably, Mr. Gordon has presented no testimony or other  
3 evidence of the breadth of the stack plume at various elevations, nor of the  
4 oxygen content of such a plume at any elevation, although presumably oxygen  
5 content will increase rapidly as the plume becomes diluted as it rises. In fact, the  
6 gas turbine exhaust leaving the stack contains approximately 15% oxygen, as  
7 compared to 21% in air – a depletion of 25% even before mixing with  
8 atmospheric oxygen begins. With respect to vapor plumes, again, Mr. Gordon has  
9 not presented any evidence or testimony of any accident ever associated with a  
10 vapor plume emitted from a stack.

11 The fact is that stacks of much greater output than the proposed stack  
12 already exist near airports. There are numerous power plant stacks within close  
13 range of LaGuardia Airport in New York City. For example, the Astoria  
14 Generating Station and NYPA Poletti Stations are approximately 1.5 miles from  
15 the end of the runway and have a total of five 299 foot AMSL stacks. In addition,  
16 recent proposed facilities approved or in the Article X process include the Poletti  
17 expansion on the Astoria property with a single 268 foot AMSL stack and the  
18 Astoria Energy LLC project, located adjacent to the Astoria Station, with multiple  
19 269 foot AMSL stacks. The Ravenswood Generating Station is located  
20 approximately three miles from LaGuardia Airport and has three 499 foot AMSL  
21 stacks and a fourth stack under construction that will be 415 feet AMSL. These  
22 existing stacks are greater in number, taller, emit more particulate matter (soot),

Case 01-F-0761

SMITH/YOUNG

1 and, in several instances, are closer to the runway than the proposed stack would  
2 be. And, of course, LaGuardia is a much busier airport than Republic.

3 Q. Are you aware of any accidents or studies related to any type of stack plume?

4 A. No.

5 Q. Does this conclude your testimony?

6 A. Yes.

1 MR. RATZKIN: Mr. Young, have you  
2 reviewed the exhibits to that testimony?

3 MR. Young: Yes, I have.

4 MR. RATZKIN: Do you have any  
5 corrections or modifications that you would like to  
6 make to those exhibits?

7 MR. YOUNG: Not at this time.

8 MR. RATZKIN: Mr. Smith, have you  
9 reviewed those exhibits?

10 MR. SMITH: Yes.

11 MR. RATZKIN: Would you like to make any  
12 corrections or modifications to those exhibits?

13 MR. SMITH: No.

14 MR. RATZKIN: Your Honors, we request  
15 that those exhibits be marked for identification.

16 JUDGE GARLIN: Exhibits SY-1 and SY-2  
17 will be marked for identification as Exhibit 31.

18 (Documents marked Exhibit 31 for  
19 identification.)

20 MR. RATZKIN: The witnesses are  
21 available for Cross.

22 JUDGE GARLIN: I believe that SHARED is  
23 the only party indicating cross-examination.

24 MR. EVERSMAN: I'll be doing the

1 cross-examination.

2                   My name is Jay Eversman, from Sive,  
3 Paget & Riesel, counsel for SHARED, Arrow,  
4 Electronics, Marchon Eyewear and Gilbert Displays.

5 CROSS-EXAMINATION

6 BY MS. EVERSMAN:

7                   Mr. Young, it's true that you're not a  
8 licensed pilot; is that correct?

9                   MR. YOUNG: That's correct.

10                  MR. EVERSMAN: Do you have any flight  
11 training at all?

12                  MR. YOUNG: No, I do not.

13                  MR. EVERSMAN: Have you ever operated an  
14 aircraft?

15                  MR. YOUNG: No, sir.

16                  MR. EVERSMAN: Do you have any education  
17 or experience in the mechanics of aircraft engines?

18                  MR. YOUNG: I have considerable  
19 experience with reciprocating engines, but I do not  
20 have specific experience as a mechanic for aircraft.

21                  MR. EVERSMAN: It's true that you  
22 haven't published any documents on the topic of the  
23 impact of aviation caused by electric generating  
24 facilities or other large industrial facilities;

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 isn't that correct?

2 MR. YOUNG: That's correct.

3 MR. EVERSMAN: Have you testified as a  
4 witness or expert before a rule-making regulatory  
5 body, or any legislative body on the topic of  
6 impacts of aviation on electric generating  
7 facilities?

8 MR. YOUNG: No.

9 MR. EVERSMAN: Have you had any dealings  
10 with the FAA regarding the issuance of no hazard to  
11 air navigation determinations, besides the one  
12 involved in this case?

13 MR. YOUNG: Certainly.

14 MR. EVERSMAN: Did you assist in the  
15 preparation of Section 13.4 of the Article X  
16 application?

17 MR. YOUNG: If you're referring to the  
18 section discussing Republic Airport, yes, that's  
19 correct.

20 MR. EVERSMAN: Yes, I am.

21 Mr. Smith, are you a licensed pilot?

22 MR. SMITH: I am not.

23 MR. EVERSMAN: Do you have any flight  
24 training?



1 MR. SMITH: No.

2 MR. EVERSMAN: Have you ever operated  
3 any aircraft?

4 MR. SMITH: No.

5 MR. EVERSMAN: Have you published any  
6 documents on the topic of aviation?

7 MR. SMITH: No.

8 MR. EVERSMAN: Have you testified as a  
9 witness or expert before any rule-making regulatory  
10 body, or any legislative body, on the topic of impact  
11 to aviation?

12 MR. SMITH: No.

13 MR. EVERSMAN: I have a question for the  
14 panel, generally, and this is in reference to your  
15 rebuttal testimony from page 4, line 11, regarding  
16 other stacks located near airports.

17 I would like to ask you about your  
18 statements from page 4, lines 12 to 13, in the  
19 rebuttal testimony that numerous power plant stacks  
20 within close range of LaGuardia Airport, in New York  
21 City.

22 The only example of an airport with  
23 stacks near it is what you cite as LaGuardia Airport  
24 of; isn't that correct?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. YOUNG: In the testimony, that's  
2 correct.

3 MR. EVERSMAN: Could you compare the  
4 distance from any of the numerous power plant stacks  
5 surrounding LaGuardia Airport with any of the public  
6 approaches for LaGuardia Airport, for that distance  
7 compared to the distance between the stack for the  
8 proposed facility and any of the public approaches  
9 for Republic Airport?

10 MR. YOUNG: The stacks that are located  
11 to the west of LaGuardia, I believe, are not directly  
12 underneath the approach fan, but are in close  
13 proximity, within one to two miles.

14 With respect to Republic Airport, the  
15 proposed stack lies approximately two miles from the  
16 airport and is equidistantly located between the  
17 approaches to runway 19 and 14, as an approximation.

18 MR. EVERSMAN: How close to the approach  
19 fan at Republic Airport?

20 MR. YOUNG: It's quite close to the  
21 approach fan for runway 19, in the sense of the  
22 imaginary surface.

23 MR. EVERSMAN: Would you care to hazard  
24 a guess on that distance?

1 MR. YOUNG: No, sir.

2 MR. EVERSMAN: Do student pilots fly in  
3 and out of LaGuardia?

4 MR. YOUNG: No, sir.

5 MR. EVERSMAN: What proportion of the  
6 air traffic at LaGuardia Airport is single-engine,  
7 light aircraft?

8 MR. YOUNG: A very small proportion.

9 MR. EVERSMAN: Do you have any guess?

10 MR. YOUNG: Less than five percent.

11 MR. EVERSMAN: Less than five. Thank  
12 you.

13 Do you know if the effects of the plume  
14 was an adjudicable issue in the Article X siting  
15 process for the Ravenswood generating facility?

16 MR. YOUNG: I'm not knowledgeable about  
17 that.

18 MR. EVERSMAN: How about for the Article  
19 X siting process for the Astoria Energy process?

20 MR. YOUNG: I was not involved in that.

21 MR. EVERSMAN: Or for the Article X  
22 siting process for the NYPA-Poletti Power Project?

23 MR. YOUNG: I was not involved in that.

24 MR. EVERSMAN: Mr. Smith, do you have

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 the same answers for those questions?

2 MR. SMITH: Yes, I do.

3 MR. EVERSMAN: Mr. Young, I would like  
4 to show you a document and enter it into evidence, as  
5 well.

6 JUDGE CASUTTO: At this point, it will  
7 be marked for identification.

8 MR. RATZKIN: Your Honor, applicant  
9 objects to the offering of this document for  
10 identification for the same reasons that yesterday  
11 the Examiners determined not to allow questioning  
12 concerning the ad that SHARED had placed concerning  
13 visual impact of the proposed facility.

14 This is a document that is not part of  
15 the record, that has not been offered by the  
16 applicant to support the application, and has no  
17 probative value in this proceeding.

18 JUDGE GARLIN: Well, I'll take it and  
19 mark it and hear your objections at the conclusion of  
20 the hearings, but before I hear a question asked --  
21 well, I'll ask just one.

22 Was this obtained through discovery?

23 MR. EVERSMAN: I can't recall.

24 JUDGE GARLIN: It's dated July 2nd of

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 this year. It appears to be from the witness to Mr.  
2 Corrado.

3 Let me go off the record and take a few  
4 minutes to read this.

5 (Discussion held off the record.)

6 JUDGE GARLIN: Back on the record.

7 I have had a chance to review the  
8 proposed letter, which is on the letterhead of Young  
9 Environmental Sciences, the firm of which one of the  
10 witnesses on the stand is principal, I believe, and  
11 it's dated July 2nd of this year and addressed to Mr.  
12 Corrado, at KeySpan.

13 I'm going to mark it for identification  
14 as Exhibit 32, and I'll allow questions.

15 If there are sound objections to be  
16 raised to the questions, I'll consider them, but I  
17 would note, from my quick review of this letter, that  
18 it appears to be on topic with this panel's  
19 testimony.

20 (Document marked Exhibit 32 for  
21 identification.)

22 So proceed.

23 MR. EVERSMAN: I would also like to  
24 point out that the Interrogatory was produced and

1 responded to by KeySpan. It's SHARED 161.

2 JUDGE GARLIN: SHARED 161 was the means  
3 by which this letter was obtained?

4 MR. EVERSMAN: Not to my knowledge.

5 JUDGE CASUTTO: Please proceed.

6 MR. EVERSMAN: Mr. Young, do you  
7 recognize this document?

8 MR. YOUNG: Certainly.

9 MR. EVERSMAN: Could you identify it,  
10 please.

11 MR. YOUNG: Yes. It's a letter to  
12 Christopher Corrado, of KeySpan Corporation, with  
13 respect to concerns expressed by the local community  
14 with regard to this project.

15 MR. EVERSMAN: Could you read the first  
16 line of Paragraph 2 of the letter.

17 MR. YOUNG: It begins with, "Further,  
18 all flying aircraft, large and small are immersed in  
19 a turbulent fluid, air."

20 MR. EVERSMAN: So would a technical  
21 expertise in fluid dynamics equate to a technical  
22 expertise in aerodynamics?

23 MR. YOUNG: Not necessarily.

24 MR. EVERSMAN: What would the difference

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 be?

2 MR. YOUNG: Fluids can include liquids,  
3 as well as gaseous materials.

4 MR. EVERSMAN: I would like to refer to  
5 a statement in your rebuttal testimony and ask you a  
6 question about that statement.

7 On page 3, lines 7 to 9, you state,  
8 "Mr. Gordon, although an experienced pilot, is not a  
9 scientist with technical expertise that would qualify  
10 him to evaluate the impacts of stack plumes on  
11 aircraft performance."

12 MR. YOUNG: My copy says "air  
13 navigation."

14 MR. EVERSMAN: My apologies.

15 MR. YOUNG: I'm sorry, yes, "aircraft  
16 performance."

17 MR. EVERSMAN: "Aircraft performance."

18 Do you still agree with this statement?

19 MR. YOUNG: Yes, I do.

20 MR. EVERSMAN: Do you know how many  
21 hours of technical training Mr. Gordon has had --

22 MR. YOUNG: Many thousands, I'm certain.

23 MR. EVERSMAN: In regard to what?

24 MR. YOUNG: I believe your question, if

1 you would like to repeat it, was whether he had  
2 considerable training and experience with respect to  
3 piloting an aircraft.

4 MR. EVERSMAN: Yes, it was, piloting an  
5 aircraft. Thank you.

6 Do you know how many hours of technical  
7 training Mr. Gordon has had in his professional  
8 field?

9 MR. YOUNG: No, I do not.

10 MR. EVERSMAN: Do you know what he does  
11 for a living?

12 MR. YOUNG: I believe he's a  
13 businessman.

14 MR. EVERSMAN: I would like to go back  
15 to the Corrado letter for a moment, if I could.

16 Can you identify the diagram attached to  
17 the back of the letter?

18 MR. YOUNG: Yes. The diagram at the  
19 back of the letter is a schematic of what are known  
20 as the ground tracks that are associated with touch  
21 and go operations at Republic Airport.

22 These tracks have been reviewed by the  
23 New York State Department of Transportation, the FAA.  
24 They have been published publicly.



1                   They have been used since 1984 in  
2 studies concerning noise exposure and other purposes  
3 around Republic Airport.

4                   MR. EVERSMAN: Did you prepare the  
5 document?

6                   MR. YOUNG: The document in question is  
7 a print from the integrated noise model, and these  
8 tracks have been used consistently for over the last  
9 twenty years.

10                  MR. EVERSMAN: In touch and go training,  
11 do pilots ever go further away from the runways that  
12 are illustrated here?

13                  MR. YOUNG: Touch and go patterns can be  
14 variable. They can be smaller than are shown here,  
15 particularly at smaller airports, with shorter  
16 runways.

17                  If the touch and go patterns involve  
18 much larger aircraft, and historically, they have,  
19 they can be larger than are shown here.

20                  These are representative tracks. They  
21 are based upon considerable observation at Republic  
22 Airport, and have been used definitively for twenty  
23 years.

24                  MR. EVERSMAN: When the tracks go

1 farther than is illustrated in this diagram, would  
2 they pass over the stack at the proposed facility?

3 MR. YOUNG: Well, that would depend upon  
4 the pilot, and what was the techniques that were  
5 involved. It is not impossible.

6 MR. EVERSMAN: Mr. Young, do you know  
7 what circling approach patterns are?

8 MR. YOUNG: Sure. That's a technique of  
9 approaching the airport typically using a navigation  
10 device, either an instrument landing system or a  
11 similar radio beacon, in order to locate the airport  
12 during the descent to the airport. The pilot  
13 acquires the runways visually, and then, based upon  
14 wind conditions, determines the appropriate runway,  
15 navigates to that runway and lands.

16 MR. EVERSMAN: Did you identify circling  
17 approach patterns in any analysis of the effect of  
18 the stack on air traffic in and out of Republic  
19 Airport?

20 MR. YOUNG: No, not specifically.

21 MR. EVERSMAN: Would circling approach  
22 patterns look similar to the diagram of the touch and  
23 go pattern?

24 MR. YOUNG: No, sir, it would not. It

1 would depend, of course -- the diagram would depend  
2 upon exactly which procedure, how the aircraft was  
3 approaching the airport.

4                   Typically, if he did that on runway 14,  
5 which is the instrumented runway, the ground traffic  
6 would resemble a straight in.

7                   The pilot would reach his minimum  
8 descent altitude somewhat before getting to the  
9 runway threshold approximately three-quarters of a  
10 mile.

11                   MR. EVERSMAN: What percentage of the  
12 time do planes circling Republic Airport circle the  
13 airport at more than two miles away from the end of  
14 the runway?

15                   MR. YOUNG: I don't have information on  
16 that. I believe that's a relatively infrequent  
17 event.

18                   MR. EVERSMAN: In the same letter, I  
19 would like to ask you about a statement on page 2.

20                   JUDGE GARLIN: Before you go on, are you  
21 implying by your question that this is a record that  
22 is kept by someone?

23                   MR. EVERSMAN: There's a record kept by  
24 someone, anyone.

1                   What do you mean by a record?

2                   JUDGE GARLIN:   You asked the witness if  
3 he knew of the percentage of circling approaches --

4                   What was the question?

5                   MR. EVERSMAN:   Circling --

6                   JUDGE CASUTTO:   More than two miles.

7                   JUDGE GARLIN:   Is this a statistic --

8                   MR. EVERSMAN:   I don't know if it's a  
9 published statistic, but I would think someone who  
10 knows about the operation at Republic Airport would  
11 have knowledge of how often planes circling the  
12 airport pass over the stack or the same radius from  
13 the airport over the stack, toward the stack.

14                   JUDGE GARLIN:   I just was curious as to  
15 whether there was something someone could look at. .  
16 It didn't sound like a kind of a log that would be  
17 kept --

18                   MR. EVERSMAN:   I don't know if it's a  
19 log, but I think that information could be obtained.

20                   JUDGE GARLIN:   I'm sorry.

21                   Proceed.

22                   MR. EVERSMAN:   Going back to the letter  
23 for a moment, I was going to ask about a statement on  
24 page 2.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1                   The fourth sentence in the first full  
2 paragraph, that no pilot in command, trainee or  
3 otherwise, is expected to be airborne without  
4 sufficient skill to adequately and safely operate  
5 under all these conditions.

6                   Do you still agree with that statement?

7                   MR. YOUNG: Certainly.

8                   MR. EVERSMAN: Do you know what the FAA  
9 required number of hours for flying is before a solo  
10 flight is permitted?

11                  MR. YOUNG: That depends on the  
12 discretion of the flight instructor, I would think,  
13 to determine when the applicants qualify, but I  
14 believe it's a minimum of approximately twenty hours.

15                  MR. EVERSMAN: And in those twenty  
16 hours, does the training received include information  
17 about the risks of flying into an invisible  
18 smokestack plume?

19                  MR. YOUNG: It certainly would, if it  
20 were conducted at Republic Airport.

21                  MR. EVERSMAN: What is the basis for  
22 that statement?

23                  MR. YOUNG: There are a variety of  
24 unique conditions at every facility, things that

1 occur in one specific location that may or may not be  
2 applicable to others.

3                   Let me give you an example.

4                   Many years ago there was a second  
5 airport adjacent to Republic. That's a very  
6 infrequent condition, but because of the intersection  
7 of the extended center lines of the runways at  
8 Republic and the other facility, that caused certain  
9 kinds of training patterns to be adopted by trainees  
10 at the airport, specifically a short final on runway  
11 32, to avoid that intersection point.

12                   That's a specific condition that exists  
13 at Republic, and generally speaking, does not exist  
14 at other airports.

15                   With respect to the proposed stack,  
16 there are stacks near other airports, but certainly,  
17 an obstruction would be marked, would be lighted,  
18 would be available in the documentation about the  
19 airport, and presumably, if there was an adequate  
20 curriculum, the students would be informed of the  
21 existence of that and other factors in and around  
22 Republic Airport.

23                   MR. EVERSMAN: Have you spoken to any of  
24 the flight schools about whether they would teach

1 that in their curriculum?

2 MR. YOUNG: Not specifically, no.

3 MR. EVERSMAN: What about pilots that  
4 are trained elsewhere, would they know about the  
5 risks of flying into an invisible smokestack plume at  
6 Republic Airport?

7 MR. YOUNG: Most pilots would check the  
8 published information about the airport, and an  
9 obstruction would be included.

10 This proposed plant will be shown on the  
11 appropriate diagrams that are used by both trainees,  
12 local operators that are based at the field, as well  
13 as transient operators.

14 MR. EVERSMAN: So you said that an  
15 obstruction would be noted, correct?

16 MR. YOUNG: Correct.

17 MR. EVERSMAN: Does an obstruction  
18 include the invisible plume?

19 MR. YOUNG: The plume itself is not  
20 considered an obstruction.

21 MR. EVERSMAN: So the existence of a  
22 plume may not be noted in that information, correct?

23 MR. YOUNG: No, but it's certainly an  
24 obvious implication.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1                   Usually stacks are associated with  
2 emissions of plumes of one sort or another. That's  
3 the reason that they come into existence.

4                   MR. EVERSMAN: That part makes sense.

5                   Are pilots generally -- are beginner  
6 pilots generally told about flying into smokestack  
7 plumes, to your knowledge?

8                   MR. YOUNG: I would not claim any  
9 special knowledge in that regard, but I presume that  
10 all trainees would be acquainted with the  
11 obstructions at the facility at which they are  
12 trained.

13                  MR. EVERSMAN: Thank you.

14                  Question for the panel, generally.

15                  At what speed would the plume leave the  
16 proposed stack, assuming full generation at the  
17 proposed facility?

18                  MR. SMITH: I do not know the velocity  
19 of the exit gases.

20                  JUDGE GARLIN: Is that something  
21 Mr. Main might know?

22                  MR. SMITH: Probably, yes.

23                  JUDGE GARLIN: You may want to try that,  
24 only because I think he has done the model.



1 MR. EVERSMAN: Would it be safe to  
2 assume that at whatever speed that plume does exit  
3 the stack, that it would cause turbulence in a light  
4 aircraft, if it were flying through the plume?

5 MR. YOUNG: If it were deliberately  
6 flown through the plume at low altitude, quite  
7 probably.

8 MR. EVERSMAN: Did you request FAA or  
9 NTSB to provide you with accident data on accidents  
10 involving smokestacks or stack emissions?

11 MR. YOUNG: We did a brief review of  
12 what was available.

13 We did not find any advisory published  
14 material from the FAA with respect to stack plumes.

15 We did not find through inspecting  
16 public records that there was a -- we did not find  
17 any recent accidents, light planes or otherwise, that  
18 resembled the concerns that had been advanced with  
19 respect to the potential upsets of a light aircraft.

20 MR. EVERSMAN: In that review of public  
21 records, did you request any information from the FAA  
22 or NTSB regarding accidents involving smokestacks?

23 MR. YOUNG: No, we did not make any  
24 specific inquiries, no.

1 MR. EVERSMAN: Thank you.

2 Did your request from the FAA or NTSB  
3 any accident data on accidents involving turbulence?

4 MR. YOUNG: Turbulence is a very common  
5 matter. It can be generated from a variety of  
6 sources, is a frequent inclusion in the factors that  
7 may lead to an accident.

8 We did not do a thorough investigation  
9 of all turbulence, and all sources of turbulence, and  
10 how those might have interacted with specific  
11 activities to create an incident or an accident.

12 MR. EVERSMAN: All right. You said it  
13 was a frequent inclusion of factors that would cause  
14 accidents for small planes, correct?

15 MR. YOUNG: I believe that with respect  
16 to light aircraft turbulence, in general, and with  
17 respect to all aircraft turbulence, specifically,  
18 such matters as storms, thunderstorms, clear air  
19 turbulence, and other such matters, can be  
20 significant, can be a contributory cause to an  
21 incident or an accident.

22 MR. EVERSMAN: Thank you very much.

23 Another question for the panel  
24 generally.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 I would like to ask you a question about  
2 a statement from the application.

3 This is from page 1336 of the  
4 application.

5 The statement is, under normal  
6 conditions, thermal plumes from a point source, such  
7 as the proposed stack, do not rise vertically through  
8 the atmosphere, but rather show a horizontal  
9 trajectory.

10 MR. YOUNG: Generally, I presume that  
11 you would like me to comment on that statement?

12 MR. EVERSMAN: No. I didn't ask that.  
13 My question is, if this were to occur,  
14 if the plume were to go in a horizontal trajectory,  
15 could it be wider or longer than seventy-five feet?

16 MR. YOUNG: That would be a variable,  
17 depending upon the atmospheric conditions, including  
18 the velocity of the winds, and the turbulence factor,  
19 the wind stability factor within the atmosphere  
20 itself.

21 MR. EVERSMAN: But that could occur,  
22 correct?

23 MR. YOUNG: Certainly.

24 MR. EVERSMAN: So a plane could enter

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 that horizontal plume and remain in it for longer  
2 than a second, correct?

3 MR. YOUNG: That would depend on the  
4 conditions that were involved. It is certainly  
5 possible, but you are speaking of the plume as an  
6 integral phenomenon. The fact is, it's a dynamic  
7 phenomenon.

8 MR. EVERSMAN: Of course.

9 MR. YOUNG: As it spreads, particularly  
10 in the presence of winds and atmospheric instability,  
11 it will become diluted, and as a consequence, lose  
12 its ability to be characterized as an integrated  
13 plume.

14 MR. EVERSMAN: That could occur, I'm  
15 sure --

16 MR. YOUNG: I suspect that we need  
17 another word to describe what occurs between the  
18 points at which a plume can be defined as a plume and  
19 that point at which it becomes so dilute as to no  
20 longer be recognizable as a plume.

21 MR. EVERSMAN: All right, but for our  
22 purposes here, let's continue to refer to it as a  
23 plume.

24 What effects, other than an engine

1 shutting down, could oxygen depletion have on an  
2 aircraft?

3 MR. YOUNG: I do not believe that oxygen  
4 depletion is a significant aspect of the plume from  
5 the proposed stack. It will contain oxygen, even as  
6 it exits the mouth of the stack. It is not devoid of  
7 oxygen at that point.

8 MR. EVERSMAN: That wasn't my question,  
9 Mr. Young.

10 My question was, what other effects,  
11 other than an engine shutting down, would occur from  
12 oxygen depletion from inside a plume?

13 MR. YOUNG: I don't have any records or  
14 evidence of any other factors, or any other  
15 consequences.

16 MR. EVERSMAN: Okay.

17 I would like to ask a question about an  
18 Interrogatory response.

19 In our request number SHARED-170B, we  
20 asked, state the basis of the claim made in the  
21 prefilled rebuttal testimony of Mistfers Smith and  
22 Young that one second of total oxygen deprivation is  
23 insufficient to cause engine failure.

24 In the response filed by your attorney,

1 you responded, subject to, and without waiver of its  
2 objection, applicant states that the basis of this  
3 claim is prior professional experience.

4 Are you aware of this response?

5 MR. YOUNG: Certainly.

6 MR. EVERSMAN: What professional  
7 experience would this be regarding the sufficiency  
8 or insufficiency of oxygen depletion necessary to  
9 cause engine failure?

10 MR. YOUNG: Well, I have a concern about  
11 engine failure. I believe that engines cough,  
12 engines sputter, engines can stop, without failing.

13 Engine failure presumes that there is  
14 something that's gone wrong with the engine.

15 In this particular case, I don't believe  
16 that oxygen starvation such as is purported to occur  
17 in this situation, would cause an engine to fail. It  
18 might stop running momentarily.

19 As soon as it exited the plume, it would  
20 resume normal operations, or could be restarted in  
21 flight.

22 MR. EVERSMAN: But my question, though,  
23 is what professional experience do you have about  
24 aircraft engines which indicates that it would not

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 fail if it were deprived of oxygen?

2 MR. YOUNG: Well, I've been involved at  
3 Republic Airport since 1984, and I have been in a  
4 position to receive detailed reports of the airport  
5 staff concerning various different mishaps, various  
6 different problems with aircraft coming and going  
7 from Republic.

8 This has never been a reported problem.

9 MR. EVERSMAN: So you have seen no  
10 reports about oxygen deprivation at all, have you?

11 MR. YOUNG: No, sir.

12 MR. SMITH: Do you think you could  
13 explain "failure"?

14 I don't understand that question.

15 MR. EVERSMAN: I was referring to an  
16 engine shutting down.

17 MR. EVERSMAN: I would like to stay on  
18 this topic of your knowledge of aircraft engines, if  
19 you would.

20 You stated that you have seen no report  
21 about oxygen deprivation at Republic Airport,  
22 correct?

23 MR. YOUNG: I have not seen any reports  
24 of incidents or accidents caused by that particular

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 confluence of events.

2 MR. EVERSMAN: All right. And there is  
3 no smokestack near Republic Airport now, is there?

4 MR. YOUNG: That's correct.

5 MR. EVERSMAN: I would like to go back  
6 to the Interrogatory response, if you would.

7 This is still in response to our request  
8 that you state the basis of the claim made in  
9 prefiled rebuttal testimony that one second of oxygen  
10 deprivation is insufficient to cause engine failure.

11 You responded, "The applicant further  
12 states that a spinning engine attached to a propeller  
13 develops considerable rotary inertia that does not  
14 cease in the absence of power.

15 "An in-flight restart could thus be  
16 spontaneous, even if the engine self starter isn't  
17 operative."

18 Are you aware of that statement?

19 MR. YOUNG: Yes, I am.

20 MR. SMITH: Are you on 170?

21 MR. EVERSMAN: Yes, 170B.

22 Are you familiar with the term "wind  
23 milling" in reference to a propeller-driven aircraft?

24 MR. YOUNG: Yes.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 MR. EVERSMAN: Could you find it for me,  
2 please?

3 MR. YOUNG: "Forward motion of the  
4 aircraft bears upon the angled surface of the  
5 propeller."

6 The question revolved around what  
7 constitutes wind milling.

8 Wind milling is derived from what  
9 happens in a windmill which is on the ground in  
10 response to wind velocity.

11 An aircraft in the air is moving forward  
12 at a relatively high velocity, and that causes air to  
13 impinge on the propeller, which is an angled surface,  
14 to create a rotary motion, which tends to make the  
15 propeller continue to spin, resembling a windmill.

16 MR. EVERSMAN: All right. Does that  
17 cause a drag on a single-engine propeller-driven  
18 aircraft when the engine is no longer turning the  
19 propeller?

20 MR. YOUNG: Certainly.

21 MR. EVERSMAN: What is the recommended  
22 procedure for a pilot when the propeller is wind  
23 milling?

24 MR. YOUNG: Well, since I'm not a

1 qualified pilot I don't think I'm qualified to answer  
2 that question.

3 MR. EVERSMAN: Okay. Would it surprise  
4 you if I told you that the recommended procedure is  
5 to bring the nose of the airplane up, to slow the air  
6 speed, to stop the propeller from wind milling,  
7 thereby reducing the drag?

8 MR. YOUNG: It sounds plausible, but  
9 that presumes, of course, that the engine has  
10 actually failed.

11 MR. EVERSMAN: Correct. It does.

12 In a case that the engine has failed,  
13 and the pilot has brought the nose up, and stopped  
14 the propeller, then how could an in-flight restart be  
15 spontaneous, if the propeller has stopped turning?

16 MR. LANG: I object to this, your Honor.

17 This is going towards the performance of  
18 airplanes and whether you can restart engines, and  
19 really has nothing to do with this case.

20 JUDGE GARLIN: I understand where he's  
21 coming from. I'll allow it.

22 MR. YOUNG: If an engine stops for one  
23 reason, perhaps the pilot has failed to switch fuel  
24 tanks, for example, and there's momentary fuel

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 starvation, the rotary motion of the engine does not  
2 instantly cease, and if, within a relatively short  
3 time, fuel is resupplied, the engine will  
4 spontaneously restart.

5                   MR. EVERSMAN: Well, let's assume for a  
6 second that the fuel line -- where the fuel won't  
7 momentarily be resupplied to the engine. Let's  
8 assume that the engine has stopped operating, for  
9 whatever reason. Could there then be a spontaneous  
10 restart?

11                   MR. YOUNG: If the rotary motion has  
12 completely gone, no, there would be no opportunity  
13 for a spontaneous restart.

14                   One would have to utilize the starter  
15 that's on the engine.

16                   MR. EVERSMAN: Okay.

17                   I have no further questions at this  
18 time, your Honors.

19                   JUDGE GARLIN: Redirect?

20                   MR. RATZKIN: One moment.

21                   JUDGE GARLIN: Okay.

22                   (Whereupon, a short recess was taken.)

23                   JUDGE GARLIN: Back on the record.

24                   Redirect?

1 REDIRECT EXAMINATION

2 BY MR. RATZKIN:

3 MR. RATZKIN: Mr. Young, could you  
4 please describe your experience in the aviation  
5 industry.

6 MR. YOUNG: Yes. I'm an environmental  
7 and an airport planner.

8 I first began my profession in 1974.  
9 During the period of time since, I have conducted  
10 between two and three hundred professional studies,  
11 some of them about noise.

12 Generally, my specialty is in land use  
13 compatibility.

14 I have worked at airports throughout the  
15 United States, both military airports and civilian  
16 airports, and I have worked at airports in other  
17 countries, although not as extensively.

18 I have been involved in various aspects  
19 at Republic Airport itself since 1984, and have  
20 published approximately twelve studies of various  
21 different sizes and scopes at that facility,  
22 including being on the planning team for the master  
23 plan, the most recent one, as well as a number of  
24 other studies, noise studies, as well as planning

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 studies and obstruction studies on and around that  
2 airport.

3 I think that sufficiently summarizes it.

4 You do have my resume, and that lists,  
5 virtually all the projects that I have accomplished  
6 in my professional career.

7 MR. RATZKIN: Thank you. Are you aware  
8 of whether it's a requirement to have a pilot  
9 licensed to work at FAA in the Flight Standards  
10 Division?

11 MR. YOUNG: No, I don't believe it's a  
12 requirement.

13 MR. RATZKIN: You mentioned on  
14 cross-examination that you hadn't found any examples  
15 in which an accident was attributable to a plume, the  
16 contact between an aircraft and a plume, and you  
17 stated that your review had gone back five years.

18 Why was the review limited to five  
19 years?

20 MR. YOUNG: Well, we briefly queried the  
21 NTSB database, and their database goes back five  
22 years.

23 MR. RATZKIN: Thank you.

24 Are you aware of any suggestion or

1 evidence of oxygen deprivation constituting an  
2 aviation hazard anywhere, irrespective of location?

3 MR. YOUNG: I have not run into that  
4 particular matter in all of my years of professional  
5 experience, no.

6 MR. RATZKIN: Are you aware of any  
7 existing exhaust stack in proximity to Republic  
8 Airport?

9 MR. YOUNG: Yes. There is at least the  
10 incinerator. It's located at the Babylon resource  
11 recovery plant. I would say -- I would have to  
12 measure it. I suspect that it's about three miles  
13 away. I do not expect that it operates twenty-four  
14 hours a day.

15 That particular location is under the  
16 horizontal surface, which is the part 77 surface, the  
17 penetration of which determines, in part, whether  
18 something is an obstruction.

19 So certainly, there are other  
20 industrial-sized facilities, smokestacks, in the  
21 vicinity of the airport.

22 MR. RATZKIN: Thank you.

23 Mr. Smith, could you please describe the  
24 oxygen content of the exhaust plume that will exit

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 the proposed stack?

2 MR. SMITH: The oxygen content for the  
3 exit, based upon documentation from the OEM, General  
4 Electric or 7FA, ranges between 12 and 14 percent O<sub>2</sub>  
5 by volume, percent O<sub>2</sub> by volume.

6 I have had discussions with other plant  
7 managers who have seen numbers that are closer to 14  
8 to 15 percent. In fact, the air emissions people  
9 standardized to 15 percent O<sub>2</sub> by volume in doing  
10 their calculations.

11 MR. RATZKIN: How does that content  
12 compare with the oxygen content of air?

13 MR. SMITH: The oxygen content percent  
14 by volume of O<sub>2</sub> is 21 percent.

15 MR. RATZKIN: And do you have any  
16 information about how the oxygen content of the plume  
17 would vary upon dispersion?

18 MR. SMITH: The air quality review  
19 people that do dispersion modeling of the plume, and  
20 I asked those individuals to give me some idea of how  
21 that oxygen content from the plume mixes with the  
22 surrounding atmosphere, and at what rate or height,  
23 some way of presenting how that disperses.

24 And in some data that I received, the

1 indication was in the worst case, which is about  
2 seventy-five feet downwind of the emission point on  
3 the stack, and about 225 feet rise in height of the  
4 plume, that the oxygen content would be approximately  
5 17 percent, a little over 17 percent O2.

6 That, as far as the partial pressure of  
7 oxygen, compares approximately to an elevation of two  
8 thousand feet.

9 Therefore, the summation that I make is  
10 that if an airplane can fly at two thousand feet with  
11 a partial pressure of oxygen that is comparable to 17  
12 percent at ground level, then it should be able to  
13 fly through that plume without any shutoff of the  
14 engine.

15 MR. RATZKIN: Mr. Young, can a  
16 single-engine general aviation aircraft navigate at  
17 an altitude of two thousand feet?

18 MR. YOUNG: Certainly.

19 MR. RATZKIN: Thank you.

20 No further questions.

21 JUDGE GARLIN: Any Cross on the  
22 Redirect?

23 MR. EVERSMAN: Yes. Just a moment.

24 Just one question.



1 RECROSS-EXAMINATION

2 BY MR. EVERSMAN:

3 MR. EVERSMAN: In regards to your query  
4 data about accidents attributable to a plume, can I  
5 ask, what did that query involve?

6 MR. YOUNG: It involved entering several  
7 words into a search engine that's associated with the  
8 NTSB database.

9 MR. EVERSMAN: Can you identify what  
10 those words were.

11 MR. YOUNG: Power plants, plumes, stacks  
12 and a variety of similar words, intended to reveal  
13 whether there was a long or profound accident history  
14 and involvement between light aircraft and electric  
15 power station emissions.

16 MR. EVERSMAN: Okay.

17 No further questions.

18 JUDGE GARLIN: The witnesses are  
19 excused:

20 (Witnesses excused.)

21 JUDGE GARLIN: Are the parties inclined  
22 to press ahead, I hope, with the last witness?

23 I have estimates for witness Gordon of  
24 fifteen minutes from the applicant, and a half hour

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 from DPS.

2 MR. RATZKIN: The applicant will not  
3 have any Cross.

4 JUDGE GARLIN: There will be no Cross  
5 from the applicant.

6 MR. LANG: DPS will, your Honor. We  
7 will have Cross.

8 JUDGE GARLIN: Okay. Are you still  
9 thinking in a half an hour?

10 MR. LANG: Half an hour to forty  
11 minutes, something like that.

12 JUDGE GARLIN: Proceed to call  
13 Mr. Gordon.

14 (Pause.)

15 JUDGE GARLIN: Please raise your right  
16 hand.

17 R O B E R T G O R D O N, called as a witness,  
18 having duly affirmed to tell the truth, was examined  
19 and testified as follows:

20 JUDGE GARLIN: Please be seated and  
21 state your name and business address for the record.

22 MR. GORDON: My name is Robert Gordon.  
23 I reside at 174 Chichester Road, in West Hills,  
24 Huntington, New York.

1 DIRECT EXAMINATION

2 BY MR. EVERSMAN:

3 MR. EVERSMAN: Mr. Gordon, have you  
4 reviewed your prefiled testimony dated June 27, 2002?

5 MR. GORDON: I have.

6 MR. EVERSMAN: Do you have any changes  
7 or modifications to that testimony?

8 MR. GORDON: No.

9 MR. EVERSMAN: Your Honors, I would like  
10 to move to have submitted into evidence the prefiled  
11 direct testimony of Robert Gordon.

12 JUDGE GARLIN: The prepared direct  
13 testimony of witness Gordon will be copied into the  
14 record as if given here today orally.

15 (Continued on following page.)

16

17

18

19

20

21

22

23

24

STATE OF NEW YORK  
BOARD ON ELECTRIC GENERATION  
SITING AND THE ENVIRONMENT

---

IN THE MATTER

- of the -

Application of Keyspan Energy Development Corporation  
for a Certificate of Environmental Compatibility and Public  
Need to Construct and Operate a Nominal 250 Megawatt  
Combined Cycle Combustion Turbine Electric Generating  
Plant in the Town of Huntington, Suffolk County, New York

---

Case No. 01-F-0761

SOUTH HUNTINGTON ALLIANCE FOR RESPONSIBLE ENERGY  
DEVELOPMENT, ARROW ELECTRONICS, INC., GILBERT DISPLAYS,  
INC. AND MARCHON EYEWEAR, INC.'S PRE-FILED DIRECT  
TESTIMONY OF ROBERT GORDON

Mark A. Chertok, Esq.  
Sive, Paget & Riesel, P.C.  
460 Park Avenue  
New York, New York 10022

- and -

Richard C. Cahn, Esq.  
Cahn, Wishod & Knauer, LLP  
425 Broadhollow Road, Ste. 315  
Melville, New York 11747

Attorneys for the South Huntington  
Alliance for Responsible Energy  
Development, Arrow Electronics,  
Inc., Gilbert Displays, Inc. and  
Marchon Eyewear, Inc.

Dated: June 27, 2002

Case No.: 01-F-0761

GORDON

1   **Q:    Please state your name, title, affiliation, and business address.**

2    A:    My name is Robert Gordon. I am President of the Republic Airport Pilots  
3    Association ("RAPA"), an organization with almost a thousand member pilots. I  
4    am also a member of the Republic Airport Technical Advisory Committee, which  
5    advises the airport on planning issues, and the Aircraft Owners and Pilots  
6    Association.

7           I am employed by Piping Specialties at 84 Wall Street, Farmingdale, New  
8    York.

9   **Q:    On whose behalf is your testimony offered?**

10   A:    I am volunteering my testimony in support of the South Huntington  
11   Alliance for Responsible Energy Development, Arrow Electronics, Inc., Gilbert  
12   Displays, Inc., and Marchon Eyewear, Inc. (collectively, S.H.A.R.E.D.) in their  
13   opposition to the electric generating facility proposed by Keyspan Energy  
14   Development Corporation ("Keyspan") in the Town of Huntington, New York  
15   (the "Proposed Facility").

16   **Q:    What is the nature of your testimony?**

17   A:    My testimony is offered to address the adverse impacts on aviation that  
18   would result from the construction of the Proposed Facility.

19   **Q:    What are your qualifications to comment on aviation effects?**

20   A:    I have been a pilot for thirty-five years and have a multiengine and  
21   instrument rating. I have accumulated more than 10,000 hours of flying time,

Case No.: 01-F-0761

GORDON

1 which equals more than a full year in the air. I fly approximately 500 hours per  
2 year out of the Farmingdale Republic Airport ("FRG"). I have owned ten planes  
3 so far and currently own two twin-engine, six-seat Beechcraft airplanes. And I  
4 have been appointed to represent the interests of FRG pilots as the president of  
5 RAPA.

6 **Q: Why have you chosen to testify at this proceeding?**

7 A: I believe that the Proposed Facility's exhaust stack (the "Stack") – and  
8 particularly, the plume of heat and vapor rising from the Stack (the "Plume") –  
9 would present a hazard to airplanes arriving at and departing from FRG. FRG is  
10 the fourth busiest airport in New York State, with more than 200,000 takeoffs and  
11 landings annually, so any safety issue affecting it will be a constant danger to  
12 surrounding residents as well as to the pilots and passengers who use FRG.

13 **Q: Have you reviewed the relevant portions of Keyspan's Article X**  
14 **Application for the Proposed Facility (the "Application")?**

15 A: Yes. I have read Section 13.4 of the Application, which deals with  
16 aviation impacts, as well as the no-hazard determination issued by the Federal  
17 Aviation Administration ("FAA") and an April 25, 2002 letter from Christopher  
18 Corrado of Keyspan's Environmental Engineering Department to Michael A.  
19 Grello sent in response to questions posed by the Concerned Citizens Association  
20 of Farmingdale about the thermal Plume.

Case No.: 01-F-0761

GORDON

1    **Q:    Where would the Stack of the Proposed Facility be positioned in**  
2    **relation to air traffic to and from FRG?**

3    A:    The Stack would sit 2.1 miles from the intersection of two runways at  
4    FRG, directly between the extended centerline of Runway 14 (so-named due to its  
5    140-degree magnetic heading) and Runway 19 (190-degree magnetic heading).  
6    Runway 14 is the primary instrument-landing runway and provides for the lowest  
7    altitude on an approach – 329 feet above sea level, 250 feet above ground level –  
8    by which point a pilot must determine if he can see the runway or approach  
9    lighting system or, alternatively, must initiate a missed approach procedure.

10   **Q:    Is the attached Exhibit RG-1 a true and accurate diagram of where**  
11   **the Stack would be positioned?**

12   A:    Yes. Exhibit RG-1 is a page from a published flight manual where I have  
13   penciled in approximately where the Stack would be located in relation to FRG's  
14   main runways.

15   **Q:    In your opinion, would the Stack present an impact hazard to**  
16   **aircraft?**

17   A:    Quite possibly, particularly if the cloud ceiling was low and a pilot  
18   decided to bend the rules and descended below pattern altitude in an effort to  
19   maintain ground contact to land or was operating under special visual flight rules.  
20   The Stack would sit 195 feet above the ground at 110 feet above sea level. This  
21   equals a total height of 305 feet above sea level, which is what a plane's altimeter

Case No.: 01-F-0761

GORDON

1 reading would register. 305 feet is low, but not so low that it would be  
2 unthinkable for aircraft occasionally to come in at that level just a little over a  
3 mile and a half from the end of the runway.

4 A very slight miscalibration of the altimeter or a small variation from the  
5 approved flight path could similarly result in an aircraft's flying at the same level  
6 as the Stack. There is only a twenty-four-foot difference between the approved  
7 approach height for Runway 14 and the proposed height of the Stack, and much  
8 flying by general aviation aircraft is not sensitive to such small differences. The  
9 Stack's presence so near the runway would be particularly dangerous in cloudy or  
10 foggy weather, when visibility is limited.

11 **Q: Are you familiar with Keyspan's description of the thermal and vapor**  
12 **plume the Stack would emit?**

13 A: Yes. According to the data provided by Keyspan in the Application, the  
14 Stack would emit a hot, pressurized Plume of vapor that would rise as high as 490  
15 feet above the Stack, or a total of 795 feet above sea level, depending on weather  
16 conditions. I do have to question that estimate, however, as I've seen plumes  
17 rising 2000 to 3000 feet over other power plants.

18 **Q: Why would such a Plume present a danger to aircraft?**

19 A: There is no way to mark such a Plume to warn pilots, and it would have  
20 two potential effects. First, the rising hot gases could create a pocket of sudden  
21 up-and-down turbulence. Second, it could emit a stretch of oxygen-poor exhaust



Case No.: 01-F-0761

GORDON

1 that would impair engine function. All aircraft engines, piston or turbine, need  
2 oxygen to run; without it, an engine can sputter or shut down altogether.

3 Rapidly rising hot air causes turbulence that planes experience in the form  
4 of a big, jarring "bump." I have experienced turbulence caused by rising hot air  
5 even flying over a relatively minor heat source such as a large black-asphalt  
6 parking lot. These up-and-down drafts can be dangerous, which is why planes  
7 reroute rather than fly through thunderstorms. The presence of these up-and-  
8 down drafts in thunderstorms is described in the attached Exhibit RG-2, a Federal  
9 Aviation Administration ("FAA") pilot education pamphlet. In extreme cases, the  
10 "bump" can actually cause structural damage to an aircraft. Otherwise, it may  
11 cause the pilot to have difficulty controlling the aircraft or may injure passengers.  
12 In less severe instances, the turbulence would give everyone discomfort and a  
13 scare.

14 The altitude of this Plume would be the highest hazard within ten miles of  
15 the airport. It would rise 255 feet *above* the minimum altitude for circling aircraft  
16 (which is 560 feet above sea level, 488 feet above ground level. Aircraft  
17 operating under visual flight rules ("VFR") would pass in the vicinity of the stack  
18 at an altitude of approximately 500 feet, depending on the approach, until they  
19 oriented themselves correctly in respect to the runway. An approaching piston-  
20 powered aircraft generally descends at about 500 feet per minute. The Stack  
21 would be approximately two miles from the center of the airport, which is a little

Case No.: 01-F-0761

GORDON

1 less than one minute from ground level if a plane is approaching at 120 MPH. It  
2 is therefore perfectly likely that a plane would be flying at an altitude of 500 to  
3 600 feet on the same radius as the Stack as it prepared to land. Even if the Plume  
4 rises only as high as Keyspan's estimate of 490 feet, some planes would probably  
5 fly through the Plume as they angled in just before making their final descent on  
6 the runway centerline.

7 **Q: How would the Plume affect light aircraft in particular?**

8 A: I am particularly concerned about the effects of such a Plume on single-  
9 engine planes weighing less than 6000 pounds, which constitute more than  
10 seventy-five percent of the traffic at FRG. The Aeronautical Information Manual  
11 published by the FAA recognizes that artificial thermal currents are dangerous to  
12 small aircraft in particular in its discussion of wake vortex effects. (See attached  
13 Exhibit RG-3.) Small planes are very susceptible to disturbances due to their light  
14 weight and relatively low rate of speed. Some may approach an airport at speeds  
15 as low as 50 to 75 miles per hour, which means that they have less momentum to  
16 carry them through an area of turbulence. And the potential for engine failure  
17 presents a double danger: small aircraft engines have a greater chance of shutting  
18 down due to lack of inlet air if they encounter a section of oxygen-poor exhaust,  
19 since it will take the plane longer to pass through the exhaust.

20 **Q: Are there greater risks involved in encountering disturbances near**  
21 **the airport than there would be midflight?**

Case No.: 01-F-0761

GORDON

1 A: Yes; disturbances that occur during takeoff or landing are potentially  
2 disastrous, since there is little opportunity for a pilot to regain control at such a  
3 low altitude. A plane is statistically more likely to have an accident during the  
4 takeoff and landing phases of flight than at any other time.

5 **Q: Are there risk factors particular to FRG that you would like to note?**

6 A: Yes. FRG hosts hundreds of student pilots from numerous area flight  
7 schools flying with and without instructors, so you will frequently not be dealing  
8 with experienced pilots. And in general, pilot error is the greatest single cause of  
9 plane accidents. Student pilots or low-hour pilots are less able to handle flight  
10 disturbances, as well as less likely to assess that there may be a risk due to  
11 emissions from the Stack in the first place. Again, although you could mark the  
12 physical Stack as an obstacle, you could not mark the rising thermal Plume, which  
13 would not always be visible.

14 **Q: Does the emission of water vapor from the Stack present any specific**  
15 **hazards?**

16 A: I worry about the effects on visibility so near the runway. About ninety  
17 percent of the takeoffs and landings performed by general aviation aircraft at FRG  
18 are done under VFR rather than instrument flight rules (IFR). VFR pilots are not  
19 even allowed to fly without special permission when the cloud ceiling is lower  
20 than 1000 feet or when visibility is less than 3 miles. This is because when  
21 visibility is limited, a pilot can easily become lost or disoriented. When a plane is

Case No.: 01-F-0761

GORDON

1 flying at low altitudes on approach to an airport, a pilot does not have much time  
2 to compensate for mistakes before he or she has to abort the landing or, worse,  
3 ends up having an accident.

4 **Q: Did the no-hazard determination issued by the FAA settle your**  
5 **concerns?**

6 A: The no-hazard determination mentioned nothing about possible effects  
7 from the thermal Plume; as far as I know, the Plume didn't enter into the FAA's  
8 analysis. States may evidently choose to take thermal plumes into account,  
9 however; counsel for S.H.A.R.E.D. have shown me an Illinois regulation that  
10 prohibits the building of structures that would put aircraft pilots and the public at  
11 risk due to emissions that interfere with airport use. (The text of the regulation is  
12 attached as Exhibit RG-4.)

13 **Q: Do you believe pilots will need to alter their landing procedures once**  
14 **the Stack is in place?**

15 A: I think it is likely that FRG will need to change the minimum decision  
16 height on the approach to Runway 14 to protect flights coming in slightly off-  
17 course to the left of the runway. Right now, the minimum altitude at which a pilot  
18 must decide whether he or she is going to land or execute a missed approach is  
19 329 feet above sea level on that runway. Raising the minimum height due to the  
20 presence of the Plume would cause more planes to execute missed approaches,  
21 which increases the danger involved: planes have to give their engines a sudden

Case No.: 01-F-0761

GORDON

1 increase in power, transition from a descent to a climb, and circle back around,  
2 actions which increase the accident risk. The worst recent accident at FRG,  
3 described in the attached Exhibit RG-5, occurred in 1997 and involved a Piper 28-  
4 180 that attempted an instrument landing on Runway 14, executed a missed  
5 approach, and crashed in a field nearby, killing four people. Ironically, the crash  
6 occurred directly on what is now the Proposed Site of the Keyspan plant.

7 **Q: In sum, what is your overall opinion on the effects of the proposed**  
8 **Stack on aviation in the vicinity of FRG?**

9 A: I believe the Stack and its accompanying Plume would present a  
10 significant danger to aircraft using FRG, as I have just described, and accordingly  
11 to people living and working nearby.

12 **Q: Does this conclude your testimony?**

13 A: Yes.

1 MR. EVERSMAN: Have you reviewed the  
2 exhibits to your prefiled direct testimony?

3 MR. GORDON: I have.

4 MR. EVERSMAN: Do you have any changes  
5 to those exhibits?

6 MR. GORDON: No.

7 MR. EVERSMAN: Your Honors, I would like  
8 to move to have the exhibits to the prefiled direct  
9 testimony admitted into evidence -- marked for  
10 identification, I should say.

11 JUDGE GARLIN: Exhibits RG-1 through  
12 RG-5 are marked for identification as Exhibit 33.

13 (Document marked Exhibit 33 for  
14 identification).

15 MR. EVERSMAN: The witness is available  
16 for cross-examination.

17 JUDGE GARLIN: Okay. Mr. Lang, proceed.

18 CROSS-EXAMINATION

19 BY MR. LANG:

20 MR. LANG: Good afternoon, Mr. Gordon.

21 MR. GORDON: Good afternoon.

22 MR. LANG: I don't see a resume attached  
23 to your testimony. Are you an aeronautical engineer?

24 MR. GORDON: No, I'm not.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. LANG: Are you an engineer?

2 MR. GORDON: No.

3 MR. LANG: Do you have a background in  
4 aeronautics?

5 MR. GORDON: Yes.

6 MR. LANG: Other than as a pilot?

7 MR. GORDON: No.

8 MR. LANG: Do you have a background in  
9 Meteorology?

10 MR. GORDON: Just studies there were  
11 associated with flying instruction.

12 MR. LANG: Are you familiar with the  
13 letter from the Department of Transportation dated  
14 July 19, 2002, on the determination of the no hazard  
15 air navigation by the FAA?

16 MR. GORDON: I am.

17 MR. LANG: Does that in any way change  
18 your view as to whether there are concerns with this  
19 proposed project, the fact that the FAA has now  
20 looked at this issue twice, and in both instances,  
21 has found there was no reason for concern?

22 MR. GORDON: It does not.

23 MR. LANG: You don't believe that the  
24 FAA is qualified or competent to make this

**ReporterLink Systems, Inc.**

**Computerized Transcription**

**Litigation Support Services**

**TEL: (877) 733-6373**

**<>**

**(845) 398-8948**

1 determination?

2 MR. GORDON: I didn't say that.

3 MR. LANG: Do you believe the FAA is  
4 qualified and competent to make this determination?

5 MR. GORDON: I don't know exactly what  
6 their competency level is. I just know, based on my  
7 own experience, I believe it's a hazard.

8 MR. LANG: Well, based on your  
9 experience, how many years have you been flying out  
10 of Republic Airport?

11 MR. GORDON: Close to twenty.

12 MR. LANG: Are you familiar with the  
13 terrain in the area surrounding the airport?

14 MR. GORDON: I am.

15 MR. LANG: Is there a cell tower in  
16 close proximity to the airport?

17 MR. GORDON: I would say it's four to  
18 five miles away.

19 MR. LANG: How many times has that cell  
20 tower caused a problem with a pilot landing or taking  
21 off from the airport?

22 MR. GORDON: None, to my recollection.

23 MR. LANG: Do you know what the height  
24 of that -- and we will try to keep everything

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 consistently and above mean sea level basis, what the  
2 height of that cell tower is?

3 MR. GORDON: I believe it's somewhere  
4 between three and four hundred feet.

5 MR. LANG: Fair to say it's higher than  
6 the stack, then?

7 MR. GORDON: And also further away from  
8 the airport, yes.

9 MR. LANG: How about the sand and gravel  
10 mine across Spagnoli Road from the proposed site, are  
11 you familiar with that?

12 MR. GORDON: Yes.

13 MR. LANG: Are you familiar with a large  
14 sand elevator on the site?

15 MR. GORDON: I am.

16 MR. LANG: Do you know what the height  
17 is of the top of that elevator?

18 MR. GORDON: I don't believe it's  
19 published.

20 MR. LANG: Well, do you know what it is,  
21 sir?

22 MR. GORDON: I would say it's probably  
23 two hundred feet, maybe, 175.

24 MR. LANG: And again, we are talking

1 about above mean sea level, not ground level?

2 MR. GORDON: Yes.

3 MR. LANG: To your knowledge, sir, have  
4 any airplanes ever come in contact with that  
5 elevator?

6 MR. GORDON: Not to my knowledge.

7 MR. LANG: Have there been issues in the  
8 past with the height of that elevator? And would it  
9 be fair to say in such close proximity to the  
10 airport, the same as the project site?

11 MR. GORDON: I think there's concerns,  
12 yes.

13 MR. LANG: Well, concerns that there  
14 have been accidents?

15 MR. GORDON: No, concerns that there  
16 might be.

17 MR. LANG: How many years has that  
18 elevator been there?

19 MR. GORDON: To the best of my  
20 knowledge, it's been there for a long time.

21 MR. LANG: Has it been there for the  
22 twenty years that you have been flying out of  
23 Republic Airport?

24 MR. GORDON: I don't recall.

1 MR. LANG: Do you believe it was there  
2 than long?

3 MR. GORDON: I don't know.

4 MR. LANG: Has it been there ten years?

5 MR. GORDON: Probably.

6 MR. LANG: In ten years, have there been  
7 any incidents involving that elevator?

8 THE WITNESS: Not to my knowledge.

9 MR. LANG: Are you familiar with an  
10 incinerator that we were told yesterday is  
11 approximately a half mile, a closed incinerator,  
12 approximately a half mile from the project site?

13 MR. GORDON: Yes.

14 MR. LANG: How long has that incinerator  
15 been in place?

16 MR. GORDON: Probably ten years.

17 MR. LANG: Any problems with airplanes  
18 running into the smokestacks associated with that  
19 incinerator?

20 MR. GORDON: No, it's quite low.

21 MR. LANG: What's the height on that?

22 MR. GORDON: It's not published  
23 anywhere.

24 MR. LANG: Are you familiar, as a pilot

**ReporterLink Systems, Inc.**

**Computerized Transcription**

**Litigation Support Services**

**TEL: (877) 733-6373**

**<>**

**(845) 398-8948**

1 in the area, are you familiar with approximately what  
2 the height is?

3 MR. GORDON: Approximately 150 feet.

4 MR. LANG: Were there ever --

5 MR. GORDON: Mean sea level.

6 MR. LANG: Thank you. Were there ever  
7 plumes emitted from that incinerator?

8 MR. GORDON: I've never seen any. I  
9 think it tends to be invisible.

10 MR. LANG: Well, is it fair to say that  
11 something was coming out of the smokestacks while  
12 that plant was in operation?

13 MR. GORDON: I think it's a fair  
14 assumption.

15 MR. LANG: To your knowledge, sir, have  
16 any airplanes had problems with emissions or the  
17 whatever that was coming out of those smokestacks?

18 MR. GORDON: Not to my knowledge.

19 MR. LANG: Are you familiar with a  
20 series of high voltage transmission lines that run  
21 along the rear of the project site, as well as  
22 neighboring sites?

23 MR. GORDON: I am.

24 MR. LANG: Do you know what the height

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 is of those transmission lines?

2 MR. GORDON: Again, I don't think  
3 they're are published anywhere, but I would guess  
4 approximately fifty feet above ground level.

5 MR. LANG: How about above mean sea  
6 level?

7 MR. GORDON: Approximately 150.

8 MR. LANG: To your knowledge, have any  
9 airplanes ever crashed as a result of those  
10 transmission lines or had accidents as a result of  
11 those transmission lines?

12 MR. GORDON: Yes, I am.

13 MR. LANG: How many times has that  
14 happened?

15 MR. GORDON: Not at that particular  
16 place, but a Beachcraft Bonanza crashed into lines  
17 near 110 a number of years ago.

18 MR. LANG: Is that in the same corridor  
19 as where the proposed project is, or in a different  
20 part of 110?

21 MR. GORDON: A different part.

22 JUDGE GARLIN: Is that the accident that  
23 is reported in the exhibit attached to your  
24 testimony?

1 MR. GORDON: Very likely. It was  
2 executing a misapproach.

3 JUDGE GARLIN: I understand. I read the  
4 whole report.

5 MR. LANG: Sir, were you ever on a  
6 heading for only 14, and you are within the flight  
7 path, would you be flying over this stack?

8 MR. GORDON: Could you define "within  
9 the flight path" for me?

10 MR. LANG: Well, I will use your  
11 exhibit, which I believe is RG-1, sir.

12 Do you have a copy of your testimony and  
13 exhibits with you?

14 MR. GORDON: I don't have that exhibit  
15 with me, no.

16 MR. LANG: Could we give him the marked  
17 copy of his testimony and his exhibits?

18 (Handed to the witness.)

19 MR. GORDON: Is this the one we're  
20 talking about?

21 MR. LANG: Yes.

22 Sir, I understand from your testimony,  
23 and from this exhibit, that the flight path is what  
24 is indicated almost as an arrow, with some shading on

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 it on Exhibit RG- 1.

2 Is my understanding correct of what the  
3 flight path is for runway 14?

4 MR. GORDON: I don't think that arrow  
5 depicts the variation from center line that a pilot  
6 can achieve on an instrument approach. I don't think  
7 that's the scale.

8 MR. LANG: Well, what does this Arrow  
9 demonstrate, then?

10 MR. GORDON: It indicates that there is  
11 an ILS approach instrument landing system to that  
12 runway.

13 MR. LANG: Is that the same as a flight  
14 path, sir?

15 MR. GORDON: I guess you could say that.

16 MR. LANG: Well, could you say that?

17 MR. GORDON: There is a certain amount  
18 of latitude left and right of center line that is  
19 exhibited on an HSI, which is a horizontal situation  
20 indicator, or on a VOR indicator.

21 If your needle goes beyond the last dot,  
22 then you're supposed to execute a missed approach.

23 The distance when you're further out is  
24 wider, but I don't think this arrow is to scale

**ReporterLink Systems, Inc.**

**Computerized Transcription**

**Litigation Support Services**

**TEL: (877) 733-6373**

**<>**

**(845) 398-8948**

1 indicating what that difference can be.

2 MR. LANG: Well, given where you have  
3 indicated the stack, and your understanding of the  
4 approach, is it your understanding that the stack is  
5 within the flight approach?

6 MR. GORDON: It certainly is, if you  
7 execute a missed approach.

8 MR. LANG: That wasn't my question, sir.

9 If you didn't execute a missed approach,  
10 and you're trying to land at this airport on runway  
11 14, are you within the --

12 MR. GORDON: The government requires a  
13 missed approach under certain circumstances.

14 MR. LANG: If you're trying to land the  
15 airplane, not a missed approach, but if you're going  
16 to be landing the airplane, would this stack be  
17 within the flight approach?

18 MR. GORDON: Probably not.

19 MR. LANG: How about if you're on runway  
20 19?

21 MR. GORDON: Probably not.

22 MR. LANG: Turning to your testimony on  
23 page 4, line 6 -- I'm sorry, starting, not at line 6,  
24 lines 9 and 10, you explain that there's concern in

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 cloudy or foggy weather, when visibility is limited.

2 Are visual flight rules in effect when  
3 you have foggy weather?

4 MR. GORDON: They can be.

5 MR. LANG: Well, sir, don't you state at  
6 page 7 that VFR pilots are not allowed to fly when  
7 the ceiling is lower than a thousand feet, or  
8 visibility is less than three miles?

9 MR. GORDON: Yes, but you can have fog  
10 with visibility greater than three miles.

11 MR. LANG: Well, in cloudy weather, what  
12 kind of clouds are you referring to there?

13 MR. GORDON: Clouds come in all shapes  
14 and forms, and some are thin, and you can see through  
15 them. Others are dense, and you can't see through  
16 them.

17 MR. LANG: So when you say it's  
18 particularly dangerous in cloudy weather, are you  
19 saying no matter what kind of cloud, it's dangerous,  
20 or are you saying only during certain types of cloudy  
21 conditions?

22 MR. GORDON: Certain types.

23 MR. LANG: Which types would those be?

24 MR. GORDON: I would say low ceilings,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 dense clouds.

2 MR. LANG: So low ceilings when visual  
3 flight rules wouldn't be in effect?

4 MR. GORDON: They probably wouldn't be,  
5 but then there is something known as special VFR,  
6 which reduces the minimums you can take off in.

7 MR. LANG: How often will student  
8 pilots, for example, be flying in these cloudy, foggy  
9 conditions?

10 MR. GORDON: Well, they will be flying  
11 as long as it's three miles visibility and a thousand  
12 foot ceiling.

13 MR. LANG: And if those conditions  
14 aren't in effect, they probably would not be flying?

15 MR. GORDON: Probably not, unless  
16 they're an instrument student.

17 MR. LANG: And if you're an instrument  
18 student you would be on the instrument flight path  
19 that we were talking about earlier?

20 MR. GORDON: You would be accompanied by  
21 an instructor who was instrument rated, and you may  
22 or may not be.

23 MR. LANG: Well, if you are using an  
24 instrument flight path, or instrument flying rules,

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 you would be following a path that would be similar  
2 to what you have designated on RG-1, or wouldn't you?

3 MR. GORDON: I didn't really dictate a  
4 path there. This is an approach plate published by  
5 the government and by Jefferson Company.

6 MR. LANG: What is the purpose of this  
7 document, then, sir?

8 MR. GORDON: It's for anyone who happens  
9 to be landing on runway 14, this document gives you  
10 the information necessary to accomplish that.

11 MR. LANG: So that would, for example,  
12 include the flight path that you should be using to  
13 land at runway 14?

14 MR. GORDON: One of the methods, yes.

15 MR. LANG: At what oxygen level does an  
16 airplane loose power?

17 MR. GORDON: The mixture of gasoline to  
18 air is quite critical in an airplane. Fifteen to one  
19 is the optimum. It will not work on anything eight  
20 to one or above eighteen to one.

21 MR. LANG: Let me rephrase the question,  
22 sir.

23 MR. GORDON: Please.

24 MR. LANG: What percentage oxygen within

1 the air below which will the engine fail, 15 percent,  
2 12 percent, 22 percent?

3 MR. GORDON: I think whenever you get  
4 away from the optimum, there is a likelihood that it  
5 will fail. The optimum is fifteen parts of air to  
6 one part of fuel, by weight.

7 MR. LANG: And what does that equate to  
8 in percentage oxygen in air?

9 MR. GORDON: It will -- I'm talking  
10 about the proper mixture.

11 MR. LANG: Right.

12 MR. GORDON: I'm not talking about  
13 percentage of oxygen in the air.

14 MR. LANG: Do you want me to rephrase  
15 the question?

16 MR. GORDON: At higher altitudes, you  
17 have less oxygen percentage, and it's lower.

18 You have to adjust mixture controls on  
19 the plane to compensate for that. If you don't  
20 adjust the mixture properly, the engine will fail.

21 MR. LANG: Sir, do you understand my  
22 question?

23 I'm trying to find out, air normally,  
24 would you agree, has 21 percent oxygen?

1 MR. GORDON: At sea level.

2 MR. LANG: At sea level?

3 Would you know what your equivalent  
4 fifteen parts per million is in percent oxygen in  
5 air?

6 MR. GORDON: It's not fifteen parts per  
7 million. It's fifteen parts of air to one part of  
8 fuel.

9 MR. LANG: I'm sorry. Do you know what  
10 fifteen parts of oxygen per part of fuel equates to  
11 in percentage oxygen in air?

12 MR. GORDON: Yes.

13 MR. LANG: What is it?

14 MR. GORDON: At sea level, it's 21  
15 percent.

16 MR. LANG: So if you go below, at all,  
17 21 percent, you're saying that you won't have the  
18 proper mix of oxygen to fuel?

19 MR. GORDON: That's what I'm saying.

20 MR. LANG: And do you have any studies  
21 that support that?

22 MR. GORDON: Every flight training  
23 manual.

24 MR. LANG: Says that it the second you

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 drop below 21 percent oxygen, you're going to have a  
2 problem?

3 MR. GORDON: I don't think it's stated  
4 quite that way. It says that you must adjust the  
5 mixture for the percentage of oxygen in the air.

6 MR. LANG: Is that a significant  
7 problem?

8 MR. GORDON: Yes.

9 MR. LANG: It is. So do you test the  
10 air before you go out flying, to determine what the  
11 percentage of oxygen is on any given day?

12 MR. GORDON: No. What we do use is an  
13 exhaust gas temperature gauge.

14 MR. LANG: Okay.

15 JUDGE GARLIN: What is the service  
16 ceiling for, say, a single-engine piston aircraft,  
17 unpressurized?

18 MR. GORDON: It would depend on the  
19 horsepower.

20 A light twin could probably struggle up  
21 into the low twenties.

22 JUDGE GARLIN: I said single-engine  
23 piston.

24 MR. GORDON: Sorry. Get into the high

1 teens.

2 JUDGE GARLIN: Unpressurized, and that  
3 would be safe for the pilots?

4 MR. GORDON: Oxygen on the tank, it  
5 would have to be -- the FAA requires if they are  
6 above twelve-five for more than thirty minutes, you  
7 have to be on oxygen.

8 JUDGE GARLIN: Okay, but can the  
9 airplane fly above twelve-five?

10 MR. GORDON: Oh, sure. But the mixture  
11 is all the way back, making the difference for the  
12 lack of oxygen in the air.

13 You're putting less fuel in there to  
14 keep that fifteen to one ratio.

15 JUDGE GARLIN: Is this something that is  
16 done through manual controls in the cockpit, or is it  
17 something that is now automatic?

18 MR. GORDON: Manual control, but using  
19 the information from the exhaust gas temperature  
20 gauge.

21 JUDGE GARLIN: Are there any GA aircraft  
22 that you're aware of in which this is an automatic  
23 function?

24 MR. GORDON: There are some. The Beach

1 Bonanza, built after 1984 has an automatic  
2 compensation.

3 JUDGE GARLIN: Proceed, Mr. Lang.

4 MR. LANG: Sir, if you have to make  
5 these adjustments as you increase your altitude --

6 MR. GORDON: That's correct.

7 MR. LANG: -- it can't be that difficult  
8 of a thing, because people increase altitudes as they  
9 take off from ground level and get up to whatever  
10 they're cruising altitude is, correct?

11 MR. GORDON: Yes. However, you climb  
12 relatively slowly. If there is a sudden change in  
13 the oxygen in the air, you might not respond as  
14 quickly.

15 MR. LANG: When you say there's a  
16 sudden, how long does that change have to be?

17 MR. GORDON: It could be instantaneous  
18 to a few seconds.

19 MR. LANG: And that few seconds would be  
20 sufficient to kill an engine?

21 MR. GORDON: Absolutely.

22 MR. LANG: Do you have any engineering  
23 studies that would support that view?

24 MR. GORDON: Well, I operate in a



1 business that sells valves. We get involved in fluid  
2 dynamics. We get involved in dealing with gases,  
3 pressure drops, a variety of subjects.

4 And yes, I think I have enough  
5 background to substantiate that.

6 MR. LANG: That wasn't my question, sir.

7 I said do you have any studies that  
8 support that the momentary loss of the 21 percent  
9 oxygen is going to cause an engine to fail?

10 Are you aware of any such studies?

11 MR. GORDON: Well, if you put your hand  
12 over the throats of a carburetor and starve it of  
13 air --

14 MR. LANG: Sir, please answer my  
15 question.

16 MR. GORDON: That's what I'm trying to  
17 do.

18 MR. LANG: Are you aware of any such  
19 studies.

20 Putting your hand over a carburetor is  
21 not a study.

22 Are you aware of any engineering studies  
23 that indicate that the momentary loss -- excuse me,  
24 not loss, reduction in oxygen level in the air, will

**ReporterLink Systems, Inc.**

**Computerized Transcription**

**Litigation Support Services**

**TEL: (877) 733-6373**

**<>**

**(845) 398-8948**

1 cause an airplane engine to fail?

2 MR. GORDON: No. I'm only saying that  
3 based on my own experience.

4 MR. LANG: And you're not an engineer,  
5 as we've already established?

6 MR. GORDON: That's correct.

7 MR. LANG: At page 5 of your testimony,  
8 lines 7 to 9, are you suggesting that the plume that  
9 could come out of this smokestack is equivalent to a  
10 thunderstorm?

11 MR. GORDON: A thunderstorm is basically  
12 violent because of updrafts and down drafts,  
13 particularly when they are located close together.

14 When you're talking about heated air  
15 which exhausts from a generating plant, all this is,  
16 yes, you could have a sudden uplift with that rising  
17 air.

18 And then it would end when you removed  
19 the source.

20 MR. LANG: Well, let me ask the question  
21 again, sir, and try to answer my question this time.

22 Are you saying that the plume is the  
23 same as a thunderstorm, yes or no?

24 MR. GORDON: No.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373 <> (845) 398-8948

1 MR. LANG: In your Exhibit RG-2, the FAA  
2 guidance is not to fly within five miles of  
3 thunderstorms.

4 Are you suggesting that the same  
5 guidance should be applied to this stack, and that no  
6 one should be allowed to fly within five miles of  
7 this stack?

8 MR. GORDON: No.

9 MR. LANG: So they are not really the  
10 same thing?

11 MR. GORDON: No, obviously not.

12 MR. LANG: Does the FAA publish an  
13 educational pamphlet on flying near plumes?

14 MR. GORDON: Not that I've seen.

15 MR. LANG: What is the purpose of the  
16 FAA educational pamphlets?

17 MR. GORDON: To provide the pilots with  
18 information that will prevent accidents.

19 MR. LANG: And there isn't any pamphlet  
20 related to flying by or through plumes from power  
21 plants?

22 MR. GORDON: Not to my knowledge.

23 MR. LANG: Have you ever flown through a  
24 plume by a plant that would be similar to the

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 proposed project?

2 MR. GORDON: I have flown close to  
3 plumes from, particularly nuclear power stations in  
4 Pennsylvania --

5 JUDGE GARLIN: Sir, those are steam  
6 plumes. I think that the question, by definition,  
7 would be referring to an exhaust plume.

8 MR. GORDON: Well, steam typically is  
9 hot, and the exhaust plume is hot, and it's rising.

10 JUDGE GARLIN: So let's confine it to  
11 exhaust plumes.

12 MR. GORDON: Okay.

13 MR. LANG: Are you suggesting, sir, that  
14 a nuclear power plant is the same as this proposed  
15 project?

16 MR. GORDON: No.

17 MR. LANG: Have you ever flown through a  
18 plume of a project similar to the one that's being  
19 proposed here?

20 MR. GORDON: No.

21 MR. LANG: Do you have any firsthand  
22 knowledge of what it's like to fly through the plume  
23 at any altitude that would be coming out of a  
24 smokestack like this?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 MR. GORDON: No.

2 MR. LANG: Do small planes, if they were  
3 to experience engine loss, would they be more akin to  
4 a rock or a glider?

5 MR. GORDON: Glider.

6 MR. LANG: So if you have a momentary  
7 engine loss, the plane is not going to fall out of  
8 the sky, is it?

9 MR. GORDON: No. It will descend,  
10 obviously.

11 MR. LANG: But there would be the  
12 ability of a pilot to either restart the plane, or  
13 perhaps land it, again, without falling like a rock,  
14 but to glide down to an approach, correct?

15 MR. GORDON: If they were flying over  
16 the stack at 800 feet, and they were to lose an  
17 engine, I don't think they would make the runway.

18 MR. LANG: Well, I didn't say whether  
19 they would make the runway. I said would they be  
20 able to land the plane like a glider, or would they  
21 land it like a rock?

22 MR. GORDON: It will glide a limited  
23 distance.

24 MR. LANG: The regulation that you cite

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 in Exhibit RG-4 -- first off, do you have any  
2 personal experience with this regulation, or is it  
3 simply something that counsel for SHARED showed to  
4 you during the course of this proceeding?

5 MR. EVERSMAN: Objection. That's  
6 privileged.

7 MR. LANG: No, it's not. I'm asking  
8 what his personal knowledge is.

9 MR. EVERSMAN: You're calling for an  
10 answer which violates attorney-client privilege.

11 MR. LANG: He is not a client, your  
12 Honor.

13 JUDGE GARLIN: We established that  
14 yesterday. Apparently, none of these witnesses are  
15 clients. That's what I was told yesterday.

16 Besides, even if he were the client, he  
17 may answer the question if he so chooses.

18 It's not your privilege to assert, it's  
19 his.

20 MR. GORDON: Could you restate your  
21 question?

22 MR. LANG: Do you have any independent  
23 knowledge of this regulation?

24 MR. GORDON: No.

1 MR. LANG: Have you ever had any  
2 experience with this regulation?

3 MR. GORDON: No.

4 MR. LANG: Are you familiar with any  
5 such regulations in any other state, besides  
6 Illinois?

7 MR. GORDON: No.

8 MR. LANG: Did you go about looking for  
9 this regulation yourself, or was it something that  
10 was suggested to you?

11 MR. GORDON: I don't recall how I came  
12 upon it.

13 MR. LANG: Did you read the regulation?

14 MR. GORDON: Yes, I did.

15 MR. LANG: Does the regulation -- well,  
16 let's turn to the regulation.

17 The underlining that is in your exhibit,  
18 is that underlining that you did, or that somebody  
19 else did?

20 MR. GORDON: I don't recall.

21 MR. LANG: Well, looking at the  
22 underlined portion, does the regulation pertain to  
23 emissions generally, as you said in your testimony,  
24 or does it per pertain specifically to smoke?

1 MR. GORDON: I think they are speaking  
2 in terms of smoke. But what is smoke?

3 MR. LANG: Well, is it your  
4 understanding that, typically, smoke is something  
5 that would be either opaque, or have some type of  
6 visibility to it?

7 MR. GORDON: I think smoke is something  
8 that is created when there is combustion, and I think  
9 it varies in its density.

10 MR. LANG: Sir, do you know at this rate  
11 what was the intent behind this regulation when they  
12 specifically used the word "smoke," and not  
13 "emissions"?

14 MR. GORDON: I think that they just  
15 selected "smoke," that's all.

16 MR. LANG: You don't have any knowledge  
17 of the context of this, however, or what went into  
18 the creation or enactment of this regulation?

19 MR. GORDON: No.

20 MR. LANG: I don't want to be callous  
21 here, sir, but talking about the incident that you  
22 describe at pages 8 and 9 of your testimony, as I  
23 understand from your Exhibit RG-5, as a result of  
24 this accident, there was a crash, correct?

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948



1 MR. GORDON: I think the crash  
2 constituted the accident.

3 MR. LANG: And as you have testified on  
4 page 9, lines 5 to 6, ironically, the crash occurred  
5 directly and what is now the proposed site. So is it  
6 fair to say that the altitude of this plane, when it  
7 was impacting on the site was at zero above ground  
8 level?

9 MR. GORDON: Yes.

10 MR. LANG: So would the stack, if it had  
11 been there, have made any difference in this case  
12 when the plane was clearly well below the height of  
13 the stack?

14 MR. GORDON: Probably not.

15 MR. LANG: Sir, are you using this  
16 example to simply show that there have been  
17 accidents, or that the stack would cause an accident?

18 MR. GORDON: My feeling is that the  
19 stack could contribute to an accident.

20 MR. LANG: But are you using this  
21 example to show that the stack would have contributed  
22 to the accident, or to show that there was an  
23 accident?

24 MR. GORDON: Just that there was one.

1 MR. LANG: Turning to page 6, line 13,  
2 of your testimony, you discuss the aeronautic  
3 information manual in Exhibit RG-3, and the  
4 discussion of weight vortex effects and artificial  
5 thermal currents.

6 Could you please point to me where in  
7 RG-3 it has that discussion.

8 MR. GORDON: What line are you at on  
9 page 7?

10 MR. LANG: I'm on page 6 every your  
11 testimony from lines 10 through 13.

12 MR. GORDON: I think we are talking  
13 about situations where an upset of an aircraft could  
14 occur. I don't think the wake turbulence section  
15 refers to thermal conditions, rather, just an upset  
16 created by wake turbulence.

17 MR. LANG: Well, does the smokestack  
18 cause weight vortex effects?

19 MR. GORDON: No.

20 MR. LANG: So what is the relevance,  
21 then, of this exhibit?

22 MR. GORDON: Just that turbulence,  
23 whether created by a thermal disturbance, or rising  
24 hot air, or the passing of a larger plane in front of

1 you, can have the same effect.

2 MR. LANG: But where in this exhibit  
3 does it say that those will all have the same effect?

4 MR. GORDON: It doesn't.

5 MR. LANG: So are you just implying  
6 that, or are you using this exhibit to support that  
7 position?

8 MR. GORDON: I am using this exhibit to  
9 show that an upset can occur when you run into  
10 disturbed air.

11 MR. LANG: Does this exhibit talk  
12 generally about disturbed air, or specifically about  
13 wake turbulence caused by other airplanes?

14 MR. GORDON: That is disturbed air.

15 MR. LANG: Well, again, is this exhibit  
16 talking generally about disturbed air, or  
17 specifically about wake turbulence caused by other  
18 airplanes?

19 MR. GORDON: Wake turbulence.

20 MR. LANG: And that's all it talks  
21 about, correct?

22 MR. GORDON: Yes.

23 MR. LANG: One last thing, sir.

24 If this project is built, are you going

1 to stop flying at Republic Airport?

2 MR. GORDON: No.

3 MR. LANG: Will the members of the  
4 Republic Airport Pilots Association stop flying?

5 MR. GORDON: Probably not.

6 MR. LANG: How about the Aircraft  
7 Owners -- is it Aircraft Owners and Pilots  
8 Association?

9 MR. GORDON: Can't speak for them.

10 MR. LANG: To your knowledge, sir, are  
11 you familiar with any of their members?

12 MR. GORDON: I am a member.

13 MR. LANG: Do you know from any  
14 conversations that you've had whether any of the  
15 members will stop flying if this project is built?

16 MR. GORDON: I haven't had that  
17 conversation.

18 MR. LANG: I will leave it at that, your  
19 Honor.

20 JUDGE GARLIN: Just a few questions.

21 Your Exhibit RG-1 shows that it's  
22 copyrighted by a firm called Jefferson Sanderson,  
23 Incorporated?

24 MR. GORDON: That's correct.

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 JUDGE GARLIN: I think I recall hearing  
2 you saying in one of your responses that there is  
3 some governmental involvement with the issuance of  
4 this type of information?

5 MR. GORDON: Yes. The government  
6 publishes it themselves, in a slightly different  
7 format, and apparently, Jefferson has a relationship  
8 with the government that allows them to do it in  
9 their format.

10 Essentially, information is the same,  
11 just presume it's slightly different.

12 JUDGE GARLIN: Is there a similar sheet  
13 for every airport in the country that is accessible  
14 for general aviation?

15 MR. GORDON: If there is an instrument  
16 approach, yes.

17 JUDGE GARLIN: So, for example, and  
18 things obviously changed last September, but for a  
19 long time National Airport, in Washington, had an  
20 exceptionally high percentage of general aviation  
21 takeoffs and landings for a busy commercial airport.

22 Would there have been something like  
23 this?

24 MR. GORDON: There are approaches into

1 Washington National.

2 JUDGE GARLIN: Okay. Is it as simply  
3 stated as this, or are there some notes about what to  
4 look out for?

5 MR. GORDON: Sometimes there are  
6 warnings that appear.

7 For example, North Adams, Massachusetts,  
8 is surrounded by mountains. There are references to  
9 that fact.

10 JUDGE GARLIN: What is the busiest  
11 commercial airport accessible to general aviation  
12 that you have flown into as a pilot?

13 MR. GORDON: I have flown into Boston,  
14 Washington National, Dulles, BWI, Chicago Midway.  
15 I've been to almost all of them.

16 JUDGE GARLIN: A little bit different,  
17 say, again, landing at National Airport than at  
18 Republic Airport?

19 MR. GORDON: You've got to be a little  
20 more alert.

21 JUDGE GARLIN: You have to keep your  
22 head up for constant activity, correct?

23 MR. GORDON: However, Republic is the  
24 fourth busiest airport in New York State.

1 JUDGE GARLIN: I understand. And  
2 general aviation airports can run up those numbers  
3 pretty well?

4 MR. GORDON: Yes.

5 JUDGE GARLIN: But is it a constant,  
6 now, succession of commercial airliners, like say at  
7 National Airport?

8 MR. GORDON: Not into Republic, no.

9 JUDGE GARLIN: Not into Republic. Okay.  
10 What does it take to get Jefferson  
11 Sanderson to add an advisory note to their sheet for  
12 an airport if some sort of a hazard develops?

13 MR. GORDON: They get the information  
14 from the government.

15 JUDGE GARLIN: So, in your opinion, does  
16 the finding, and then the determination on appeal  
17 from the Federal Aviation Administration make it more  
18 or less likely that Jefferson Sanderson would be  
19 receptive to some sort of an advisory note about the  
20 presence of the stack at the proposed facility at the  
21 location proposed?

22 MR. GORDON: I don't know what the  
23 Government's response might be. They could just  
24 publish it kind of like I drew it in here, and show

1 its height.

2                   They generally show the height above sea  
3 level, which is how pilots fly when there are ten of  
4 us.

5                   There is another thing, and that is  
6 there is an allowable altimeter error, and there's an  
7 error created by temperature. So even though you  
8 think you're at a particular altitude, you might not  
9 be.

10                  JUDGE GARLIN: Understood. Understood.

11                  Are these issues that were at least  
12 brought in front of the finder of fact at the FAA?

13                  MR. GORDON: I'm sorry?

14                  JUDGE GARLIN: If you know, were these  
15 particular aspects, temperature air, altimeter air,  
16 were these aspects of risks to aviation that were put  
17 before the FAA?

18                  MR. GORDON: I don't know, but I would  
19 suspect they are fully aware of it.

20                  JUDGE GARLIN: I have no further  
21 questions..

22                  Do you have Redirect?

23                  MR. EVERSMAN: Yes, just three  
24 questions.



1 JUDGE GARLIN: Okay.

2 REDIRECT EXAMINATION

3 BY MR. EVERSMAN:

4 MR. EVERSMAN: When the FAA indicates  
5 flight problems shown, let's say, on Exhibit 1, that  
6 is the Jefferson diagram, do they take the plume into  
7 consideration, or just the smokestack?

8 MR. GORDON: Just the smokestack.

9 MR. EVERSMAN: If the incinerator in  
10 Babylon were to be constructed or operated today,  
11 would you have the same concern in that instance of a  
12 plume from the incinerator that you have in this  
13 case?

14 MR. GORDON: I just suspect that the  
15 temperature, the velocity, the height of the stack,  
16 and so forth, when we compare the two, that the  
17 incinerator would be less of a factor.

18 MR. EVERSMAN: Okay.

19 No further questions.

20 JUDGE GARLIN: Any Cross on the  
21 Redirect?

22 MR. LANG: No, your Honor.

23 JUDGE GARLIN: The witness is excused.

24 (Witness excused.)

1 JUDGE GARLIN: That concludes the  
2 witnesses scheduled for today, unless someone has  
3 sneaked in some wetlands witnesses who want to  
4 testify, but it seems to be a losing proposition.

5 (Laughter.)

6 JUDGE GARLIN: So does anyone have  
7 anything else they want to bring up on the record,  
8 before we go off the record, and do some  
9 housekeeping?

10 MR. CHERTOK: Yes, your Honor.

11 We have a motion to make, and I want it  
12 on the record, to avoid any confusion.

13 SHARED has a motion to introduce  
14 surrebuttal testimony relating to the financial  
15 aspects of the testimony adduced by the Dahl panel.

16 The reason I want it on the record is  
17 that we have made an effort, and it's my  
18 responsibility.

19 So if there's a problem with it, I'll  
20 take the hit, to distinguish between what is subject  
21 to the trade secret protective order and what is not.

22 And we have a set of documents which  
23 have the stamp on it, which can be given to the  
24 parties who are authorized to receive that

1 information, and another set which doesn't have that.

2           If there's any mistake, an inclusion of  
3 a document on the wrong side of the ledger, it's my  
4 fault.

5           I've looked at them, and I would like to  
6 be informed by KeySpan quickly, so there is no  
7 problem with that, obviously.

8           The intent is not to disseminate  
9 information, but I believe we have been correct in  
10 what's on this side of the ledger.

11           But I don't know who is authorized to  
12 see those documents other than, obviously, your  
13 Honors and KeySpan.

14           So I wanted to make sure that that's on  
15 the record, and that there is no confusion.

16           JUDGE GARLIN: I guess, obviously, if  
17 you want to verify --

18           MR. CHERTOK: Whatever KeySpan tells me,  
19 I will, obviously, take their word for it.

20           MR. RATZKIN: I would need to see which  
21 documents you're referring to.

22           MR. CHERTOK: Sure.

23           Oh, it relates to the financial  
24 information on the different cost estimates that are

**ReporterLink Systems, Inc.**

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

<>

(845) 398-8948

1 contained in the supplement to the application.

2 That is the only information I'm aware  
3 of that is in this that would be subject to a trade  
4 secret.

5 MR. RATZKIN: I believe only the  
6 Department of Public Service and SHARED have signed  
7 onto that stipulation with respect to the documents.

8 MR. CHERTOK: I would be perfectly  
9 happy, while we're having some discussion, to have  
10 you skim the document, to make sure there's not any  
11 problems that I have missed.

12 The goal is not to disseminate the  
13 information.

14 I can file it now, or we can have the  
15 conversations that you indicated before, and then we  
16 can go back on the record, whatever they want.

17 JUDGE GARLIN: Does anyone else have  
18 anything you want to bring up before we recess the  
19 record for today?

20 I see no indications, so we will go into  
21 recess.

22 JUDGE CASUTTO: Can we start at nine  
23 tomorrow, or do you have a preference otherwise?

24 MR. LANG: Nine sounds good.

1 JUDGE GARLIN: Let's go into recess  
2 until 9:00 a.m. tomorrow morning.

3 Nine tomorrow morning.

4 (Whereupon, at 1:45 o'clock p.m., the  
5 hearing adjourned.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1

I N D E X

2

3

4 WITNESSES: JEFFREY SMITH, MARTIN ALEXANDER, ANTHONY  
AGRESTI

5 EXAMINED BY      DIR. CROSS    REDIR.    RECR.    DIRE    VOIR

6 Mr. Ratzkin      1273                      1366

7 Ms. Sinding                      1314                      1374

8

9 WITNESS:    ERIC WOOD

10 EXAMINED BY      DIR. CROSS    REDIR.    RECR.    DIRE    VOIR

11 Ms. Sinding      1379

12 Mr. Lang                      1394

13

14 WITNESSES:    HENRY YOUNG, JEFFREY SMITH

15 EXAMINED BY      DIR. CROSS    REDIR.    RECR.    DIRE    VOIR

16 Mr. Ratzkin      1399                      1437

17 Mr. Eversman                      1408                      1442

18

19 WITNESS:    ROBERT GORDON

20 EXAMINED BY      DIR. CROSS    REDIR.    RECR.    DIRE    VOIR

21 Mr. Eversman      1444                      1490

22 Mr. Lang                      1455

23

24

ReporterLink Systems, Inc.

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

&lt;&gt;

(845) 398-8948

1

2

E X H I B I T S

3

4 EXHIBIT NO.DESCRIPTIONFOR IN  
ID. EV.

5

25

Exhibits AAS-1 through  
AAS-5

1313

6

26

Exhibits AAS-6 through  
AAS-8

1313

7

8

27

Joint stipulation

1315

9

28

Interrogatory SHARED-147  
and response

1357

10

29

Interrogatory SHARED-133  
and response

1362

11

12

30

Exhibits EW-1 and EW-2

1393

13

31

Exhibits Sy-1 and Sy-2

1407

14

32

Letter on letterhead of  
Young Environmental  
Sciences

1414

15

16

33

Exhibits RG-1 through  
RG-5

1455

17

18

19

20

21

22

23

24

ReporterLink Systems, Inc.

Computerized Transcription

Litigation Support Services

TEL: (877) 733-6373

&lt;&gt;

(845) 398-8948